

1 BEFORE THE ARIZONA POWER PLANT AND LS-260

2 TRANSMISSION LINE SITING COMMITTEE

3

4 IN THE MATTER OF THE) DOCKET NO.
 APPLICATION OF SIERRA) L-21207A-22-0252-00208
 5 ESTRELLA ENERGY STORAGE, LLC,)
 IN CONFORMANCE WITH THE) LS CASE NO. 208
 6 REQUIREMENTS OF ARIZONA)
 REVISED STATUTES, SECTIONS)
 7 40-360, et. seq., FOR TWO)
 CERTIFICATES OF ENVIRONMENTAL)
 8 COMPATIBILITY AUTHORIZING THE)
 SIERRA ESTRELLA 230-kV)
 9 GENERATION INTERTIE PROJECT)
 AND ASSOCIATED SUBSTATION)
 10 WITHIN THE CITY OF AVONDALE,)
 ARIZONA, IN MARICOPA COUNTY,)
 11 ARIZONA) EVIDENTIARY HEARING
)

12

13 At: Tempe, Arizona

14 Date: November 7, 2022

15 Filed: November 14, 2022

16

17

REPORTER'S TRANSCRIPT OF PROCEEDINGS

18

VOLUME I

19

(Pages 1 through 127)

20

21

GLENNIE REPORTING SERVICES, LLC
 1555 East Oranewood, Phoenix, AZ 85020
 22 602-266-6535 admin@glennie-reporting.com

23

24

By: Kathryn A. Blackwelder, RPR
 Certified Reporter
 Certificate No. 50666

25

1	VOLUME I	November 7, 2022	Pages 1 to 127
2	VOLUME II	November 8, 2022	Pages 128 to 167
3			
4	INDEX TO PROCEEDINGS		
5	ITEM		PAGE
6	Opening Statements		NONE
7	Virtual Tour		57
8	Public Comment Session		125
9	Closing Statements		NONE
10	Deliberations for CEC 208-1		135
11	Vote for CEC 208-1		152
12	Deliberations for CEC 208-2		154
13	Vote for CEC 208-2		162
14			
15	INDEX TO EXAMINATIONS		
16	WITNESSES		PAGE
17	MOLLY EMERSON - Applicant		
18	Direct Examination by Mr. Thomas		11
19	STEPHEN STODDARD, DEVIN PETRY - Applicant		
20	Direct Examination by Ms. Driggs		47
21	DEVRAJ BANERJEE - Applicant		
22	Direct Examination by Ms. Driggs		84
23			
24	PAUL ROGERS - Applicant		
25	Direct Examination by Mr. Thomas		94
	GLENNIE REPORTING SERVICES, LLC		602.266.6535
	www.glennie-reporting.com		Phoenix, AZ

1 INDEX TO EXHIBITS

2	NO.	DESCRIPTION	IDENTIFIED	ADMITTED
3	SE-1	CEC Application	48	134
4	SE-2	Sierra Estrella ACC Hearing Presentation, 5 by Plus Power	25	134
6	SE-3	City of Avondale Conditional Use Permit	--	134
7	SE-4	Sierra Estrella Corridor Map	--	134
8	SE-5	Sierra Estrella Route Tour Itinerary and Map	--	134
9	SE-6	Sierra Estrella Stakeholder Involvement 10 Summary	51	134
11	SE-7	Sierra Estrella Hearing Presentation, 12 by SWCA	45	134
13	SE-8	Fisher Report	107	134
14	SE-9	Utilities Division Response	9	134
15	CHMN-1	Proposed Draft of CEC 208-1	123	FOR 16 REFERENCE
17	CHMN-2	Final Draft of CEC 208-1	123	FOR 18 REFERENCE
19	CHMN-3	Proposed Draft of CEC 208-2	123	FOR 20 REFERENCE
21	CHMN-4	Final Draft of CEC 208-2	123	FOR 22 REFERENCE

22

23

24

25

1 BE IT REMEMBERED that the above-entitled and
2 numbered matter came on regularly to be heard before
3 the Arizona Power Plant and Transmission Line Siting
4 Committee at Hilton Garden Inn, 86 South Rockford
5 Drive, Tempe, Arizona, commencing at 1:03 p.m. on the
6 7th of November, 2022.

7
8 BEFORE: PAUL A. KATZ, Chairman

9 LEONARD DRAGO, Department of Environmental Quality
10 JACK HAENICHEN, Public Member
11 DAVID FRENCH, Arizona Department of Water Resources
12 JAMES PALMER, Agriculture Interests
13 MARY HAMWAY, Incorporated Cities and Towns
14 RICK GRINNELL, Counties (via videoconference)
15 MARGARET "TOBY" LITTLE, PE, General Public
16 (via videoconference)

17
18 APPEARANCES:

19 For the Applicant:

20 PERKINS COIE
21 Ms. Andrea Driggs
22 Mr. Christopher Thomas
23 2901 North Central Avenue, Suite 2000
24 Phoenix, Arizona 85012

25 For the Arizona Corporation Commission Utilities
Division Staff:

ARIZONA CORPORATION COMMISSION
Ms. Kate Kane
1200 West Washington Street
Phoenix, Arizona 85007

1 CHMN. KATZ: Welcome, everybody. This is the
2 time we have set for Hearing CEC 208, the Sierra
3 Estrella 230-kV Generation Intertie Project.

4 And I would ask the attorneys who are
5 representing the applicant to please identify
6 themselves for the record, and then I'll take a roll
7 call after that of our Committee Members.

8 MR. THOMAS: Good afternoon, Mr. Chairman,
9 Members. My name is Chris Thomas. I'm from the
10 Perkins Coie law firm. And with me to my right is
11 Andrea Driggs, also from Perkins.

12 CHMN. KATZ: Thank you.

13 And I believe we have one of the legal
14 counsel from the Corporation Commission present; she
15 can also identify herself. And I don't know whether
16 you'll be participating or just observing.

17 MS. KANE: I believe I'm just observing
18 since we're not intervening, the ACC. And my name is
19 Kate Kane with -- one of the Staff attorneys. Thank
20 you.

21 CHMN. KATZ: Thank you.

22 And what I will do is, starting on my left
23 we'll take a roll call of those who are present here in
24 the hotel hearing room. And go ahead.

25 MEMBER DRAGO: Yeah. Len Drago. I'm

1 designee for the Arizona Department of Environmental
2 Quality.

3 MEMBER HAENICHEN: Jack Haenichen
4 representing the -- or, yeah, the general public.

5 MEMBER FRENCH: David French, designee from
6 the Arizona Department of Water Resources.

7 MEMBER PALMER: Jim Palmer representing
8 agriculture.

9 MEMBER HAMWAY: Mary Hamway representing
10 cities and towns.

11 CHMN. KATZ: And I believe we maybe have two
12 of our Members -- I see Mr. Grinnell. I don't know
13 whether Toby Little is also here. I know she won't be
14 able to sit with us tomorrow because she's working the
15 elections. But Mr. Grinnell, I see you. Can you hear
16 us okay?

17 MEMBER GRINNELL: Yes, sir.

18 CHMN. KATZ: And Member Little, are you also
19 present virtually?

20 MEMBER LITTLE: I am, Mr. Chairman. Toby
21 Little representing the public. But as you said, I am
22 a poll worker, so I will not be available tomorrow.

23 CHMN. KATZ: That's fine. And will you be
24 able to be -- will both of you be able to be with us
25 for the Wednesday and Thursday -- the second hearing?

1 And both of these should be fairly focused. We're not
2 talking about power lines that run miles. We're
3 talking about power lines that run feet or yards. But
4 that all being said, will you both be available
5 tomorrow?

6 MEMBER GRINNELL: I will.

7 MEMBER LITTLE: I will, Mr. Chairman. Thank
8 you.

9 CHMN. KATZ: You won't. Will you be
10 Wednesday and Thursday, Member Little?

11 MEMBER LITTLE: Yes, I will.

12 CHMN. KATZ: And Mr. Grinnell, are you also
13 available?

14 MEMBER LITTLE: Yes, I am.

15 MEMBER GRINNELL: Yes, sir.

16 CHMN. KATZ: Thank you very much.

17 And we are almost ready to begin. We'll
18 probably take a break about every 90 minutes to save
19 the hands of our court reporter and the rest of us from
20 going crazy from sitting too long.

21 And if you want any daily transcripts, you
22 need to coordinate that with the reporter.

23 And we don't have any -- we don't have
24 anybody intervening, is that correct, Counsel?

25 MR. THOMAS: That's correct.

1 CHMN. KATZ: Okay. And what I want to ask
2 you for this hearing, and it will probably be the same
3 for the next, I don't believe, in light of the short
4 length of the line and the fact that it doesn't appear
5 to be disturbing any ongoing businesses or residential
6 communities -- that we not take a tour. That has to be
7 up to the Committee. But what is Counsel's
8 recommendation with respect to a tour?

9 MR. THOMAS: We don't recommend a tour. It's
10 a 700-foot Gen-Tie line from one parcel to the adjacent
11 parcel with no public property or third-party property
12 involved.

13 CHMN. KATZ: Thank you.

14 And do we have a motion from the Committee?

15 MEMBER PALMER: Mr. Chairman, I would move we
16 forego the tour for this hearing.

17 CHMN. KATZ: Do we have a second?

18 MEMBER HAENICHEN: Second.

19 CHMN. KATZ: Any discussion?

20 (No response.)

21 CHMN. KATZ: All in favor.

22 (A chorus of ayes.)

23 CHMN. KATZ: And we won't be taking a tour
24 and there are no requests for intervention.

25 Are there any -- I'm assuming we don't have

1 any issues regarding the disclosure of witness
2 testimony and exhibits. There isn't any opposition
3 that I'm aware of, so I think we're about ready to go.
4 Any thoughts on that matter, Counsel?

5 MR. THOMAS: I think that's correct,
6 Mr. Chairman.

7 CHMN. KATZ: And what we'll do is about every
8 hour and a half we'll take a break. And then whether
9 or not anybody appears -- we'll be done about 4:30 or
10 5:00 today, and then we have to hang around until 5:30
11 to see if there's any public comment either in person
12 or virtually. I'm not expecting much, but you never
13 know who might show up.

14 And one of the things I would want, if you
15 haven't already marked it as an exhibit, is there's the
16 ACC or Corporation Commission letter in support of the
17 project. That should also be marked as an exhibit if
18 it hasn't already been.

19 MR. THOMAS: Mr. Chairman, I believe that's
20 been marked as Exhibit SE-9.

21 CHMN. KATZ: Thank you very much.

22 And I'm assuming that -- what local
23 governments have been -- regarding this particular
24 project, what local governments have been notified of
25 the hearing?

1 MR. THOMAS: The SWCA witnesses will talk
2 about this, but this project is entirely within the
3 city of Avondale, which has provided zoning approval.

4 MS. DRIGGS: Although, Maricopa County was
5 also notified.

6 CHMN. KATZ: Okay. And the only other thing
7 that I want to ask at this point in time is -- I do see
8 Ms. Molly Emerson. I believe she's your first witness,
9 is that correct?

10 MR. THOMAS: That's correct.

11 CHMN. KATZ: And are you going to be doing
12 one witness at a time, as opposed to a panel?

13 MR. THOMAS: We are going to do the SWCA
14 witnesses, Mr. Petry and Mr. Stoddard, who are going
15 second as a panel; otherwise, individual witnesses.

16 CHMN. KATZ: That's fine. And we're going to
17 begin, though, with Ms. Emerson, correct?

18 MR. THOMAS: That's correct.

19 CHMN. KATZ: Do you prefer an oath or an
20 affirmation? We can do either.

21 MS. EMERSON: An affirmation.

22 CHMN. KATZ: Just raise your right hand. I
23 don't need you to stand up.

24 (Molly Emerson was duly affirmed by the
25 Chairman.)

1 CHMN. KATZ: And whenever you're ready,
2 Counsel, you may begin.

3 MR. THOMAS: Thank you, Mr. Chairman.

4

5

MOLLY EMERSON,

6 called as a witness on behalf of Applicant, having been
7 previously affirmed by the Chairman to speak the truth
8 and nothing but the truth, was examined and testified
9 as follows:

10

11

DIRECT EXAMINATION

12 BY MR. THOMAS:

13 Q. Tell us your name, please.

14 A. My name is Molly Emerson.

15 Q. Where do you work?

16 A. I work at Plus Power, LLC. Business address,
17 1780 Hughes Landing Boulevard, Suite 675, The
18 Woodlands, Texas.

19 Q. Who is Plus Power?

20 A. Plus Power is the corporate parent of the
21 applicant in this matter, Sierra Estrella Energy
22 Storage, LLC.

23 Q. Now, I believe that we have -- you had
24 prefiled testimony filed on October 28th, 2022, is that
25 correct?

1 A. Yes, that's correct.

2 Q. And we're going to try to keep things short
3 today in light of the Committee's busy schedule. So
4 fair to say if anybody has any further questions, they
5 could consult your prefiled testimony?

6 A. Correct.

7 Q. And I believe that we discovered one thing
8 that needs to be corrected in that testimony because of
9 your idiot lawyer, and that is the correct acronym for
10 SPP. And what does SPP stand for?

11 A. So SPP stands for Southwest Power Pool, not
12 Small Power Producers.

13 Q. Okay. Subject to that correction of the
14 acronym, is there anything in your direct testimony
15 that you believe to be inaccurate?

16 A. There is not.

17 Q. Thank you. And I believe that your -- on the
18 right-hand side we've got one of your slides. And
19 you've got seven or eight for the Committee today, is
20 that correct?

21 A. Yes.

22 Q. What are we seeing there on the -- well,
23 before we get there, can you tell us a little bit more
24 about what Plus Power has done in the development area?

25 A. Yes. So Plus Power -- do you want me to

1 go --

2 Q. Sure, if you've got a slide.

3 A. Sure. So Plus Power is a leading developer
4 of transmission-connected, standalone energy storage in
5 the United States. We are -- we were formed in 2018
6 from some of the principals at leading energy companies
7 such as Tesla, NextEra, and other renewable energy
8 developers. So we've been very busy across the United
9 States in the last four years. We have projects in
10 over 20 states, a portfolio of over 7 gigawatts of
11 these energy storage projects. We're currently at 92
12 employees and are active in every major ISO, or
13 independent system operator, in the country.

14 Q. What other projects has Plus Power developed
15 in the battery energy storage space?

16 A. Our employees collectively have decades of
17 experience in the utility and power industry. I would
18 say collectively we've developed, built, and operated
19 over 5 gigawatts of assets. Specifically under Plus
20 Power's portfolio, we have -- have a lot of projects
21 facilitating some critical power supply transitions in
22 many markets.

23 On the right-hand of this slide you see is a
24 couple of our publicly announced projects of --
25 projects at the utility scale. The first three that

1 you see on the right are projects I personally
2 developed in Texas. The Gambit, North Fork, and Bat
3 Cave projects are all hundred-megawatt, roughly
4 two-hour systems, so roughly 200-megawatt-hour
5 standalone energy storage projects, that Plus Power
6 developed and are now operational on the Texas grid.
7 They were operational since summer of 2021 and are
8 helping keep the lights on and avoid some of the same
9 power disruptions that we saw after Hurricane Uri.

10 So those are the three I'm most familiar
11 with. We also have several others that have been
12 announced publicly, including a 185-megawatt battery
13 energy storage project on the island of Oahu replacing
14 the last coal plant on Hawaii. So that one is under
15 construction and will be operating next year. We have
16 two others in the northeast that have been awarded
17 capacity contracts out of the Forward Capacity Market
18 in ISO New England. The Cross Town and Cranberry Point
19 storage projects are under also under development at
20 Plus Power right now.

21 Q. How many battery energy storage facilities
22 have been developed in Arizona?

23 A. So in Arizona specifically there are
24 currently seven publicly announced and operating
25 battery projects, and that's according to the Energy

1 Information Administration's latest numbers as of
2 August of this year. So seven operational projects in
3 Arizona that I know of.

4 Q. Totaling how many megawatts, do you know?

5 A. Totaling 97 megawatts.

6 Q. And the Sierra Estrella project would be 250,
7 is that correct?

8 A. Correct.

9 Q. How about in the United States as a whole,
10 any idea how many BESS facilities there are in the
11 U.S.?

12 A. The number, exact number, I do not know. I
13 know it's in the hundreds, if not thousands, of
14 projects. But there are about 6.9 gigawatts of
15 operating energy storage -- battery energy storage
16 projects in the U.S. today.

17 Q. As director of project development at Plus
18 Power, did you have some involvement in the facilities
19 that are up on the slide?

20 A. Yes, I did. I was personally involved in the
21 development of the top three and involved in the siting
22 efforts and RFP response that we underwent for the
23 Kapolei Energy Storage project.

24 Q. What else have you worked on as project
25 development officer at Plus Power?

1 A. So as the director of project development at
2 Plus Power, right now I lead a team of project
3 development managers developing projects in the
4 southwestern WECC region, ERCOT, or Texas, and the
5 Southwest Power Pool, or SPP, markets. And our main
6 role is to oversee general project management of those
7 projects, maintain schedules and budgets, obtain the
8 necessary real estate and permits for those projects,
9 and assist with the design and engineering in the
10 initial phases.

11 Q. Before Plus Power, what did you do?

12 A. So prior to working at Plus Power, I was a
13 sales engineer working on the energy storage -- energy
14 products team at Tesla, assisting developers with
15 technical analysis of these types of projects.

16 Q. And before that?

17 A. Before that, I was a project development
18 associate at Solar City developing energy storage and
19 solar projects.

20 Q. And how about before that?

21 A. Before that, I was a business analyst at the
22 New York Stock Exchange. And before that, I got my
23 bachelor of science in environmental engineering from
24 Yale University in 2013.

25 Q. I think the next slide shows us the Sierra

1 Estrella energy project. First off, to make life
2 simpler, is it okay if we use Sierra Estrella Energy
3 Storage, LLC and Plus Power interchangeably today?

4 A. Yes.

5 Q. So what are we looking at here? On the
6 right-hand side screen we've got two photos. What's on
7 the left?

8 A. On the left-hand side you're seeing a
9 rendering of the Sierra Estrella Energy Storage
10 project. I believe that view is taken from the
11 northwest, so kind of an aerial view. That is showing
12 somewhere around 276 Tesla Megapack 2XL battery
13 containers, which is comprising the battery facility
14 portion of this project.

15 Q. And we'll hear more about this later, but
16 Tesla Megapack 2XL is the most recent Tesla technology,
17 is that right?

18 A. Yes. It is the technology that we've
19 selected to use with this battery project. It is the
20 most up-to-date product.

21 Q. Can you see the left-hand slide, the screen
22 from over there, with the aerial photo?

23 A. Yes, I can.

24 Q. And this shows the project location, right?

25 A. Yes, that is showing the general project

1 location. And we'll go into this a little more later,
2 but the yellow box that you're seeing is -- yes -- is
3 highlighting the Rudd Substation, a 500-kV/230-kV
4 substation currently in existence and jointly operated
5 by the Salt River Project, or SRP, and Arizona Public
6 Service Company, or APS. That is the proposed point of
7 interconnection for the battery storage project and the
8 terminus of the Gen-Tie line.

9 Q. And this is located approximately 121st
10 Avenue/West Broadway in Avondale?

11 A. Correct, and South Avondale Boulevard.

12 Q. So back to the right-hand screen. Strike
13 that.

14 First off, the left-hand side, where you've
15 got the battery storage container units, is that
16 property controlled by Plus Power?

17 A. Yes. That property is controlled by Plus
18 Power now through a valid option to purchase agreement
19 we have with the current landowner, it's for 11.5 acres
20 in total, and we would strike on that option and
21 purchase the land should a CEC permit be granted.

22 Q. And that's immediately adjacent to the Rudd
23 Substation parcel, is that correct?

24 A. Yes, the parcels are immediately adjacent to
25 one another.

1 Q. So back to the right-hand screen. The other
2 aerial photo, that's depicting the Rudd Substation?

3 A. Yes. So it's a slightly different
4 orientation; here I believe we're looking from the
5 northeast. In the foreground we can see the existing
6 Rudd Substation and then, yes, one dead-end structure
7 bringing a Gen-Tie line up into one to two monopoles.
8 And those will support the 230-kV conductor and bring
9 it over into the Sierra Estrella project substation,
10 where it will terminate at another dead-end structure.

11 Q. And then, I don't know if you've got your
12 testimony handy or Committee Members do, but Page 4 has
13 a description of what sort of approval we're seeking
14 from the Committee. Can you explain to us what you're
15 seeking approval for?

16 A. Yeah. So we are seeking a CEC from the
17 Committee for that short Gen-Tie line that will connect
18 the battery facility to Rudd. It's approximately a
19 700-foot-long line and will entail those structures
20 that I mentioned previously.

21 Q. And the -- is the battery energy storage
22 facility a thermal generating facility?

23 A. It is not.

24 MEMBER GRINNELL: Mr. Chairman.

25 CHMN. KATZ: Yes, Member Grinnell.

1 MEMBER GRINNELL: I'm looking at this CEC,
2 208, and then I'm looking at 210, and I'm just
3 wondering why these couldn't be put into one
4 application. I realize they're two separate entities,
5 but it just seems almost like we're having a
6 duplication with the same information except for one is
7 connecting here and one is connecting there. Is there
8 a reason for that, Molly or Counsel?

9 CHMN. KATZ: Well, I think that we have to
10 have separate CECs for each of the two projects that
11 are located in different parts of town, one on the east
12 side and one on the west side. And they're both short
13 lines, and I sometimes wish that the statute would be
14 amended so that we didn't have to go through this
15 expense of -- lengthy process to approve relatively
16 short lines, but I think we have to do it. But I don't
17 know that the second hearing will be -- I mean, the
18 CECs will be very similar, so --

19 MR. THOMAS: Mr. Chairman.

20 CHMN. KATZ: And I'll let counsel comment why
21 we're doing this.

22 MR. THOMAS: Yeah. If the -- obviously, the
23 Superstition project scheduled for Wednesday and
24 Thursday is a different project on the other side of
25 town.

1 If the question was why we split the CEC for
2 the Sierra Estrella project into two, that was after a
3 lot of discussion with SRP and a little bit of
4 discussion with the Chairman and reflects SRP's
5 presence, in part, because of the timing of the
6 conferral of the CECs for the two separate parts of
7 this project. But we are absolutely open to further
8 suggestion on that.

9 CHMN. KATZ: Well, again, Member Grinnell,
10 they are requesting two CECs for this project, one for
11 the substation, I believe, so that that can be assigned
12 to APS, SRP, or whomever, and the other one. But I
13 believe that the two CECs, except for project
14 description, will have the same terms and conditions.

15 MR. THOMAS: That's our expectation,
16 Mr. Chairman.

17 CHMN. KATZ: But we couldn't consolidate this
18 with 210. It's a separate location, a separate
19 project, and the Corporation Commission wouldn't permit
20 us to have one -- or, two CECs that cover the same -- I
21 mean, two different projects.

22 MEMBER GRINNELL: Thank you.

23 MEMBER HAMWAY: I have a quick question,
24 Mr. Chairman.

25 CHMN. KATZ: Yes, Member Hamway.

1 MEMBER HAMWAY: Is this a lithium-ion
2 configuration, the Tesla Megapack?

3 MS. EMERSON: Yes, this is a -- the Tesla
4 Megapack 2XL is a lithium-ion battery, LFP chemistry.
5 And I think we'll talk a little bit more about that in
6 depth later on.

7 MEMBER HAMWAY: I'm interested in the safety
8 and security. I mean, I think everybody is pretty
9 aware of Tesla batteries --

10 MS. EMERSON: Okay. Yeah.

11 MEMBER HAMWAY: -- burning up.

12 MR. THOMAS: Yeah. Member Hamway, my
13 apologies for not giving you a bit more of a road map.
14 But just so everyone knows, after Molly's testimony
15 we'll have two environmental and natural resource
16 consultants from SWCA who will also talk about public
17 outreach both for this proceeding and zoning approval.
18 We will then have Devraj Banerjee, who's an engineer
19 with Plus Power who can talk about some of the
20 engineering details. And then finally, we will have
21 Paul Rogers from Energy Safety Response Group, a former
22 25-year New York City firefighter who co-founded that
23 firm which specializes in battery storage safety
24 issues, including thermal safety. So all of our
25 witnesses obviously will do their best to answer the

1 questions they are asked, but Paul Rogers is really the
2 one to ask about detailed safety issues.

3 MEMBER HAMWAY: Okay. Thank you.

4 BY MR. THOMAS:

5 Q. Molly, I think we have -- the next slide has
6 a good depiction of the potential Gen-Tie, if you can
7 flip to that. And so what's the orange square on the
8 right-hand side of that aerial?

9 A. So the orange square is the 11.5 acres that
10 will comprise the Sierra Estrella facility, the entire
11 battery energy storage facility.

12 Q. And that's the one that you will purchase
13 subject to this option if the CEC is granted?

14 A. Yes, that's correct.

15 Q. What's that yellow triangle depict?

16 A. The triangle depicts the location of the
17 Sierra Estrella project substation, so the eastern
18 terminus of the Gen-Tie line.

19 Q. So that looks like it's in the northwest
20 corner of your parcel, correct?

21 A. That is correct.

22 Q. And then below that would be those -- the
23 battery storage container units that were depicted in
24 the first photo we looked at?

25 A. Yes.

1 Q. And then the horizontal -- or, vertical
2 rectangle that's in kind of true yellow, that's the
3 Rudd Substation parcel?

4 A. Correct.

5 Q. What are the -- there's some blue and red
6 lines that are traversing through the Rudd Substation
7 parcel. What are those?

8 A. So Rudd Substation is a major import hub for
9 the Phoenix metropolitan area for both SRP and APS.
10 What you can see there are depictions of existing
11 transmission that goes into the substation, the red
12 lines being 500-kV lines and the light blue lines being
13 230-kV lines along existing transmission corridors.

14 Q. So the red lines are 500-kV?

15 A. Yes.

16 Q. Is that true of the horizontal red lines at
17 the top of the parcel as well?

18 A. Yes. That is a WAPA transmission corridor, I
19 believe.

20 Q. And then the kind of light blue, baby blue
21 are 230-kV?

22 A. Yes, sir.

23 Q. And then finally, from the yellow triangle on
24 the Plus Power parcel there's a blue -- royal blue
25 line, kind of fish-hook looking. What's that depict?

1 A. That is depicting the Sierra Estrella Gen-Tie
2 line.

3 Q. Okay. That would be the Gen-Tie line you add
4 if approved?

5 A. Yes.

6 Q. And that's the length of that, approximately?

7 A. Approximately 700 feet, or .13 miles.

8 Q. Okay. Is there any --

9 CHMN. KATZ: And if I might ask, the slides
10 we're projecting are from your SE Exhibit 7?

11 MR. THOMAS: I believe these are SE-2,
12 Mr. Chairman.

13 CHMN. KATZ: Okay. I gotcha.

14 BY MR. THOMAS:

15 Q. Are the -- and again, the Rudd Substation
16 parcel and the Plus Power parcel are immediately
17 adjacent?

18 A. Yes, they are.

19 Q. You won't need to cross any other third-party
20 property?

21 A. No, we won't need to cross any public
22 property.

23 Q. No federal property?

24 A. No.

25 Q. No state or other public body property?

1 A. We will not.

2 Q. Is there additional engineering to be done to
3 finally locate the Gen-Tie piece from your parcel to
4 the SRP parcel?

5 A. Yes. So the line itself, the Gen-Tie line,
6 will be designed, constructed, and owned by SRP,
7 actually, so they're in the design phase now. We do
8 know the general path of the line. I believe they're
9 still determining if one or two monopole structures
10 would be needed to support the tension of the Gen-Tie
11 line as it comes into our substation.

12 Q. And I think, if we can advance one more
13 slide, we have another depiction of that. And so it
14 appears that you're requesting a corridor, to
15 facilitate that additional engineering, of 190 by
16 340 feet, is that correct?

17 A. Yes, that's correct.

18 Q. So it's possible that the blue Gen-Tie line
19 depicted here may be adjusted a bit during the
20 engineering phase, but it will be definitely within the
21 requested corridor, is that correct?

22 A. Yes, that's correct.

23 Q. Now, I take it that the options you evaluated
24 for the Gen-Tie focus primarily on proximity to the
25 Rudd Substation?

1 A. Yes, that's correct. When we were looking at
2 siting this energy storage project, we were looking at
3 previously disturbed areas that were near existing
4 infrastructure, existing transmission infrastructure,
5 and so the proximity to the Rudd Substation was a large
6 consideration of siting here.

7 Q. It doesn't look like you could get any
8 closer, to me, is that correct?

9 A. That's correct. We are directly adjacent
10 from an open bay at the Rudd Substation.

11 Q. What used to be on this parcel that you have
12 the option to acquire?

13 A. So this parcel was previously used for a
14 dairy production facility, a dairy farm. There are no
15 livestock or milking operations happening today,
16 though. The dairy is effectively retiring and being
17 slated for future development.

18 Q. Okay. If we can flip one more slide, then
19 we've got a little preview of coming attractions. So I
20 gather you did not put together all of this work all by
21 your lonesome?

22 A. I did not.

23 Q. And so who else is on the Plus Power team,
24 starting with Mr. Banerjee?

25 A. So myself and Mr. Banerjee will be

1 representing Plus Power and testifying on behalf of
2 Sierra Estrella Energy Storage. Myself, as the
3 director of project development, can speak to the
4 project need and general description and the local
5 permitting that we underwent in the AHJ of Avondale.
6 And Mr. Banerjee will be speaking more to the design
7 and engineering of either the BESS or the Gen-Tie line
8 and speak to the noise and interference studies that
9 were conducted.

10 Q. Okay. And what do the SWCA people do?

11 A. So Plus Power retained SWCA Environmental
12 Consultants earlier this year to assist with those
13 environmental studies establishing the conductivity of
14 the project on the chosen site and public outreach
15 associated with the CEC permitting process and then
16 drafting and submitting the CEC application. So
17 Mr. Stoddard and Mr. Petry will be commenting on those
18 exhibits and studies and the overall compatibility of
19 the project.

20 Q. And we'll be hearing from them next, is that
21 correct?

22 A. That's correct.

23 Q. And then Devraj will be after those two?

24 A. Yes.

25 Q. And then finally, what's Paul Rogers' role?

1 A. Mr. Rogers is the co-founder and
2 representative here from ESRG, the Energy Safety
3 Response Group. Plus Power contracted with ESRG to
4 evaluate and ensure public safety and compliance of the
5 project with all local, state, and federal safety
6 compliance standards.

7 Q. Okay. And then further down the chart
8 there's some other people that worked on the project
9 that are not here today and aren't really doing
10 Gen-Tie-related work, but can you tell us who they are
11 briefly?

12 A. Yes. So we've worked with several different
13 parties, local parties, to do the initial design and
14 engineering of the Sierra Estrella project. Asset
15 Engineer was the original electrical engineer and
16 owner's engineer for the project. Norris Design is a
17 landscaping and site design firm that we're working
18 with their local office to build up the site plan and
19 submit the now approved conditional use permit for the
20 project. And then CVL Consultants is a civil
21 engineering firm that we've used to do the surveying
22 and initial civil design of the site. And Burns and
23 McDonnell is our general contractor who will be
24 building the actual facility.

25 Q. Thank you. Next slide, please.

1 So how did this project come about and why
2 does SRP think it's necessary?

3 A. So the power utility, as you -- most of you
4 probably know, serving the bulk of the Phoenix
5 metropolitan area is either the Salt River Project,
6 SRP, or Arizona Public Service Co, APS. SRP,
7 specifically their resource plan indicates a need for
8 incremental summer peak capacity on the system to meet
9 the projected increases in customer load and also help
10 integrate the intermittent renewable energies that are
11 coming onto the system from other generators.

12 So we were aware of this critical near-term
13 need for energy capacity in the area and started
14 developing this project in 2018. SRP released an
15 all-source RFP in the summer of 2021 outlining their
16 need for peaking capacity, specifically requesting
17 proposals for 400 megawatts of peaking capacity to come
18 online before the summer of 2024 and an additional
19 600 megawatts to come online before the summer of 2026.
20 So those projects are meant to help SRP fill that local
21 capacity need on their system, support their
22 sustainability goals for non-emitting capacity
23 resources, and help bring more of that renewable
24 generation onto the system and balance it out.

25 So Plus Power bid into those -- into that

1 RFP, and was ultimately selected to build 340 megawatts
2 of lithium-ion battery projects for SRP this summer.
3 We were selected this summer and signed a contract with
4 them earlier -- I guess October 26th of this year.

5 Q. So you have a signed agreement with SRP to
6 deliver this facility?

7 A. We do.

8 Q. And the project operations date is what under
9 that contract?

10 A. Under that contract the project would have to
11 be operational by the -- in time for the summer peak,
12 so June 1st, 2024.

13 Q. And how long would construction take?

14 A. Approximately 12 to 18 months. We anticipate
15 breaking ground sometime in Q2 next year should a CEC
16 be granted.

17 Q. So 250 megawatts of peaking storage, can you
18 give us some idea what that translates to in a
19 bigger-than-a-bread-box sense?

20 A. Yeah. So using conservative estimates, that
21 250 megawatts is at least enough energy to power 60,000
22 homes at the peak demand during a summer peak demand.

23 Q. Okay. And next slide, please.

24 Now, this project is entirely within the city
25 limits of Avondale, is that correct?

1 A. Yes. The city of Avondale is our authority
2 with jurisdiction.

3 Q. Do you have final zoning approval from
4 Avondale?

5 A. Yes. We have an approved CUP, or Conditional
6 Use Permit, that was awarded to the project last
7 November.

8 Q. And can you tell us a bit about that process?

9 A. Yeah, I can. So the current zoning of the
10 site for the battery energy storage project is zoned a
11 Planned Area Development, or PAD, and Avondale's zoning
12 code permits the use of private battery energy storage
13 facilities on the PAD subject to approval of a CUP by
14 the Planning Commission.

15 So we underwent that -- we underwent that
16 process last year. It allows -- it's a process that
17 allows for public review and comment of the project at
18 multiple steps along the way. So Plus Power conducted
19 a notice to the surrounding residences and businesses
20 within the required notification radius and then held a
21 virtual open house meeting where we informed the public
22 about what we were planning on developing in the area.
23 We then presented the case to the Planning Commission
24 and again opened up for public comment in September of
25 last year. And then went in front of the City Council

1 and presented the project and again opened up for any
2 public comment on November 1st of 2021. Not a ton of
3 public engagement or feedback about the project that
4 was negative, and the merits for the project were seen
5 by the public and our CUP was approved.

6 Q. What's the initial contract term with SRP for
7 this facility?

8 A. 20 years is the initial term of the contract
9 with SRP.

10 Q. What do you anticipate the lifespan of the
11 facility itself to be?

12 A. So due to the augmentation that we will do on
13 the system throughout its life to maintain that
14 nameplate capacity that we are contracted to provide
15 SRP, at the end of the 20-year term the battery will
16 still be entirely functional and at its full nameplate
17 capacity. So we anticipate that at the end of 20 years
18 we would either extend our contract with SRP, go market
19 the battery services to another offtaker, or play
20 directly into the wholesale energy markets and sell
21 that energy and storage capacity into the wholesale
22 market ourselves. So we don't anticipate that the
23 battery will end its life after 20 years; we anticipate
24 it will keep providing services to the grid.

25 Q. What did you mean by augmentation of the

1 BESS?

2 A. So throughout the life of the battery, the
3 batteries naturally degrade. And so we will be adding
4 additional batteries to the facility. They're wired in
5 series so you can add in additional capacity onto your
6 existing infrastructure and maintain the rating of the
7 system, but that won't entail any additional
8 foundations. We're going to pour all the foundations
9 that we anticipate needing right off the bat and will
10 all be contained within original 11.5-acre site.

11 Q. So the augmentation, whenever that occurs,
12 will not expand the footprint of the facility?

13 A. That's correct.

14 Q. And it won't require any further approval by
15 the Committee or the Commission, is that right?

16 A. That's correct.

17 MEMBER GRINNELL: Chairman.

18 CHMN. KATZ: Yes, Member Grinnell.

19 MEMBER GRINNELL: On your battery, is that a
20 series set up for recharging, a parallel setup? And
21 also, in the event of failure of any of these
22 batteries, which it's going to probably have some, what
23 is the disposal process for these batteries in the
24 event of failure?

25 MS. EMERSON: So I will defer to the engineer

1 on the parallel and series question. I believe that
2 all the batteries are wired in series up until they get
3 to their medium voltage transformer, but I'll have
4 Devraj confirm.

5 But, yes, they're all -- all of the
6 containers, the 276 containers, can be isolated from
7 one another. And so in the event of any abnormal
8 operation, we can isolate any of the battery packs.
9 And when they -- should they need to be removed, they
10 can be taken off site and recycled at an appropriate
11 facility.

12 MEMBER GRINNELL: Are there enough -- are
13 there facilities actually available doing this?
14 Because there's -- and again, rumors aren't anything to
15 be substantiated, but people are saying they're winding
16 up in dumps. How true is that and what is the reality
17 on the disposal -- safety part of the disposal of all
18 these batteries, whether it's your project or anybody
19 else's?

20 MS. EMERSON: So right now today, Tesla, the
21 manufacturer, will accept and receive any of their
22 products and they will recycle them. So since we are
23 using a Tesla product for this project, we can
24 basically send that battery back to the factory and
25 have it recycled by the manufacturer. So there is a

1 path forward for that. I can't really speak to other
2 projects using different providers.

3 But as a whole, I think the energy storage
4 recycling industry is going to grow dramatically over
5 the next several decades. There have been lots of
6 government incentive programs to try and stimulate that
7 industry to catch up with the use of lithium-ion
8 batteries in the EV industry, as well as the stationary
9 storage use that we're talking about today. So the
10 industry is definitely still in its infancy, there's no
11 sugarcoating that, but we do expect it to grow
12 significantly in the coming decades.

13 MEMBER GRINNELL: And since these are
14 probably running series, so if you have failure at one
15 battery, you're going to have failure throughout the
16 series of batteries within that container or within
17 that portfolio of storage, wouldn't that be true?

18 MS. EMERSON: I think that there are a very
19 high degree of internal protections and firewalls that
20 are built within the containers themselves and isolate
21 each cell or module or rack, and so we kind of build up
22 to a highly redundant and controllable system within
23 the Megapack container itself. And there will be a
24 little more detail of the engineering and the breakdown
25 of that later on in the presentation. But safe to say

1 that the internal BMS, or battery management system,
2 can tell when an anomalous behavior is happening in one
3 of the cells and kind of isolate that module or cell
4 down to prevent the cascading failure.

5 MEMBER GRINNELL: Thank you.

6 MEMBER HAENICHEN: Mr. Chairman.

7 BY MR. THOMAS:

8 Q. On that topic, Molly, when you spoke with the
9 City of Avondale about this project --

10 CHMN. KATZ: Hold on just a second. I think
11 Member Haenichen had a question for the witness.

12 MEMBER HAENICHEN: Yeah. My question is
13 about reclamation of lithium that is from batteries
14 that have dropped off in capacity or whatever. Is that
15 a far-along developed art at this time or what? And if
16 so, what percentage of the material can be used in a
17 new set of batteries?

18 MS. EMERSON: That's a really good question.
19 I am not sure I have exact numbers for you on that,
20 about what percentage can be reclaimed from batteries.
21 Like I tried to address, I think that the recycling
22 industry is still in its nascency, to be completely
23 honest, and I think that that growth in the next couple
24 years will begin to establish best practices and those
25 types of facts about what can be reused. We know that

1 the batteries themselves have precious metals and that
2 they can be recovered and they will be recovered,
3 because it's much more expensive to continue to make
4 these with new lithium than to recover recyclable
5 lithium.

6 MEMBER HAENICHEN: Not only that, we're not
7 exactly lithium rich in this country as a basic asset,
8 and so I'm very curious about the sustainability of
9 this over time.

10 CHMN. KATZ: Again, I think battery safety
11 and sustainability all go to reliability, but we also
12 don't regulate battery storage facilities, so we need
13 to be --

14 MEMBER HAENICHEN: No, I understand, but --

15 CHMN. KATZ: I understand.

16 MEMBER HAENICHEN: -- it's incumbent upon our
17 Committee to --

18 CHMN. KATZ: I understand.

19 MEMBER HAENICHEN: -- understand these
20 issues.

21 CHMN. KATZ: Counsel, go ahead.

22 MEMBER HAENICHEN: So you...

23 CHMN. KATZ: Go ahead, if you had another
24 follow-up.

25 MEMBER HAENICHEN: On this type of system

1 that we're talking about here at this hearing, does
2 your company basically try to solicit customers for
3 this, generally big utilities or something, or do they
4 come to you?

5 MS. EMERSON: We generally respond to
6 solicitations that the utilities put out for capacity
7 resources. And so they have identified a need on their
8 system for new resources, and we offer this as an
9 option.

10 MEMBER HAENICHEN: Would you say that this is
11 on the upswing now, more and more of it?

12 MS. EMERSON: Yes. We would say that this is
13 definitely on the upswing as utilities look for
14 cleaner, non-emitting sources of capacity.

15 MEMBER HAENICHEN: Yeah. Because we -- "we,"
16 this Committee -- have noticed on just our projects
17 menu that more and more solar in particular and wind
18 generation facilities are being built and they need
19 Gen-Ties. And that's the kind of thing that your
20 company will be working in, that field, to fill the
21 needs?

22 MS. EMERSON: Yes. We specifically work on
23 standalone energy storage, not generation like the wind
24 and solar generation that's happening generally outside
25 of the load pocket. We are trying to site capacity

1 that can use those resources and charge from those
2 resources when they're abundant and then store for
3 later use, when the sun goes down or the wind stops
4 blowing, so that the utility can actually manage and
5 use that capacity when it needs to. And we find that
6 siting closer to existing infrastructure in the load
7 pocket limits the need for longer transmission lines to
8 connect that power to where it's actually needed.

9 MEMBER HAENICHEN: So you envision little
10 clusters of these around an energy use area?

11 MS. EMERSON: Ideally near existing
12 infrastructure. But in the future, perhaps a more
13 distributed pattern, yes.

14 MEMBER HAENICHEN: Now, of the projects that
15 you're aware of that you're working on -- your company
16 is working on, roughly what percentages are solar or
17 wind?

18 MS. EMERSON: So we do not develop any wind
19 or solar. We develop only standalone battery storage
20 projects.

21 MEMBER HAENICHEN: No, I understand that.
22 But in connection with, that's what I meant. Are your
23 systems that you're manufacturing, installing, mostly
24 for solar or for wind?

25 MS. EMERSON: Oh, now I think I understand

1 your question. We're agnostic on how these systems
2 charge. So because we're just hooking into the
3 existing electrical grid, we will charge from whatever
4 is available at the time, and that's most -- more and
5 more commonly the renewable sources of generation that
6 are supplying the grid itself.

7 MEMBER HAENICHEN: Okay. Let me try to
8 change the way I ask my question. In your purview, in
9 your company's work, the systems that you're installing
10 at the request of a client like SRP, the energy source
11 that's going to be charging your batteries, is it
12 mainly solar or 50/50 solar and wind?

13 MS. EMERSON: I don't -- I don't know how
14 much solar or wind SRP has on their system right now,
15 but I know that they have goals to increase that --
16 increase that penetration. But an electron is
17 fungible, a kilowatt hour is fungible, so we don't know
18 where the electrons or the charging power specifically
19 will come from. We do know that Rudd is a major import
20 zone for a lot of solar and nuclear power from Palo
21 Verde, and so it is technically a cheaper form of
22 electricity that's probably arriving at our -- at our
23 spot on the grid, and we're charging from that and
24 being able to spread that.

25 MEMBER HAENICHEN: So you might do some solar

1 projects for the nuclear plant?

2 MS. EMERSON: No, we --

3 CHMN. KATZ: Storage.

4 MS. EMERSON: We don't think -- we're not
5 developing any solar or wind projects.

6 MEMBER HAENICHEN: No. I mean the storage
7 projects are -- are any of them coupled to Palo Verde?

8 MS. EMERSON: No, none of them are coupled
9 with any generation.

10 MEMBER HAENICHEN: Thank you.

11 MEMBER HAMWAY: I have a quick question.

12 CHMN. KATZ: Yes, Member Hamway.

13 MEMBER HAMWAY: So the Sierra Estrella is
14 going to be 250 megawatts with 276 battery containers.
15 Do you have a project that's larger than that anywhere
16 else in the United States, or will that be your largest
17 single BESS system?

18 MS. EMERSON: We are currently developing
19 larger projects in Texas right now in the ERCOT market,
20 larger by megawatts, not by megawatt hours. So we tend
21 to develop the larger -- longer-duration projects in
22 regulated utilities for utilities such as SRP. So it
23 needs to be a minimum duration, so we have more
24 batteries. So it's a longer duration, higher energy,
25 but we have larger projects by megawatts currently

1 being developed in the United States.

2 MEMBER HAMWAY: But nothing operational?

3 MS. EMERSON: Nothing operational today, no.

4 MEMBER HAMWAY: Thank you.

5 CHMN. KATZ: Counsel.

6 BY MR. THOMAS:

7 Q. Molly, when you discussed this project with
8 the City of Avondale, did you also meet with the
9 Avondale Fire Department?

10 A. Yes. So the Avondale Fire Department
11 reviewed our site plan for the Sierra Estrella project
12 as part of our Conditional Use Permit application.
13 They gave us some suggestions on the design and some
14 recommendations that we incorporated into our design,
15 such as a paved access road with vehicle turnouts every
16 300 feet, hydrants around the site perimeter, two
17 entries -- or, two access points, and a dedicated Knox
18 box for emergency response access to the site.

19 So we had some great conversations initially
20 with the Fire Department, we also met with the Fire
21 Marshal Napier in Avondale to review that updated site
22 plan and to brief them on the new Tesla Megapack 2XL
23 technology that we plan on using last year, and we will
24 continue to engage with the Avondale Fire Department
25 throughout the design and engineering process.

1 We've contracted with ESRG -- you'll hear
2 from Paul Rogers later -- to draft a site-specific
3 emergency response plan and conduct a hazard mitigation
4 analysis to inform that. So the Avondale Fire
5 Department will be trained on that ERP and best
6 practices from the industry as we go through design,
7 engineering, and then after we become operational.

8 Q. Do you think this project will enhance the
9 reliability of the grid in Arizona?

10 A. Yes, I do.

11 MR. THOMAS: Stay put, Molly, because there
12 may be more questions from the Committee, but that's
13 all I have at the moment.

14 MEMBER HAENICHEN: I just have one more. To
15 your knowledge, are any of the projects that your
16 company has been involved in in this state, and then in
17 the nation, answer it both ways, storing electrical
18 energy from conventional power plants, thermal plants,
19 for example?

20 MS. EMERSON: So we are not directly coupled
21 with any generator, thermal or renewable. So no,
22 unless --

23 MEMBER HAENICHEN: But you must know, if you
24 have a customer, what their generation is going to be.

25 MS. EMERSON: We do -- no, we do not have any

1 idea where the kilowatt hours technically come from.
2 They are coming from the point of interconnection on
3 the grid where we are interconnected, and hopefully
4 that comes from more and more renewable energy.

5 MEMBER HAENICHEN: Thank you.

6 MR. THOMAS: Okay. Thank you, Molly.

7 MS. EMERSON: Thank you.

8 Thank you, Committee.

9 CHMN. KATZ: And you may call your next
10 witnesses, if they're here and available.

11 MS. DRIGGS: And our next witness is a panel.
12 We have Mr. Stephen Stoddard from SWCA,
13 S-T-O-D-D-A-R-D, and Stephen is S-T-E-P-H-E-N. And
14 then we also have Mr. Devin Petry, and that's
15 D-E-V-I-N, P-E-T-R-Y, also from SWCA. Mr. Stoddard
16 will be speaking first.

17 MEMBER HAMWAY: Do you know what number of
18 this their presentation will be?

19 MS. DRIGGS: Which premarked exhibit?

20 MEMBER HAMWAY: Correct.

21 MS. DRIGGS: Yes. The SWCA presentation was
22 previously filed, and it's marked SE-7.

23 MEMBER HAMWAY: Thank you.

24 MS. DRIGGS: And do we need to swear the
25 witnesses in?

1 CHMN. KATZ: Yes. Just give me a second. Do
2 you gentlemen prefer an oath or an affirmation? You
3 don't have to agree, but we can do it any way you feel
4 comfortable.

5 MR. PETRY: Affirmation, please.

6 CHMN. KATZ: Raise your right hands.

7 (Stephen Stoddard and Devin Petry were duly
8 affirmed, en masse, by the Chairman.)

9 CHMN. KATZ: Thank you very much.

10 And you may begin your questioning whenever
11 -- are we going to go between witnesses or just take
12 them one at time?

13 MS. DRIGGS: No. Just for the sake of
14 logical order, we're going to start with Mr. Stoddard,
15 Mr. Petry will step in for a site tour, we'll return to
16 Mr. Stoddard, and then Mr. Petry will finish it off.

17 CHMN. KATZ: That's fine. Thank you.

18 MS. DRIGGS: But we want to keep it as
19 organized as possible.

20 CHMN. KATZ: Whenever you're ready.

21

22 STEPHEN STODDARD, DEVIN PETRY,
23 called as witnesses as a panel on behalf of Applicant,
24 having been previously affirmed by the Chairman to
25 speak the truth and nothing but the truth, were

1 examined and testified as follows:

2

3

DIRECT EXAMINATION

4 BY MS. DRIGGS:

5 Q. Mr. Stoddard, please provide your name just
6 for the record.

7 A. (MR. STODDARD) My name is Stephen Stoddard.

8 Q. And your office address?

9 A. (MR. STODDARD) My office address is located
10 at 20 East Thomas Road, it's Suite 1700, in Phoenix,
11 Arizona.

12 Q. And you're employed by SWCA Environmental
13 Consultants?

14 A. (MR. STODDARD) Yes, that's correct.

15 Q. What's your job title?

16 A. (MR. STODDARD) I'm a project environmental
17 planner.

18 Q. Please briefly explain your professional
19 background.

20 A. (MR. STODDARD) Sure. I have my bachelor of
21 arts in environmental policy and economics from
22 Moravian University in Bethlehem, Pennsylvania, and I
23 have my master's in urban and environmental planning
24 from Arizona State University here in Tempe, Arizona.

25 And I've worked in both the public and

1 private sector in planning positions for over two years
2 now. And I have been employed by SWCA for one and a
3 half of those years, where I've served as a planner and
4 a project manager primarily for renewable energy and
5 transmission-related developments. And we prepared
6 this CEC application and the accompanying exhibits
7 under the applicant's supervision and review.

8 Q. And through your testimony you're going to be
9 referring to the Certificate of Environmental
10 Compatibility application that was previously marked
11 SE-1, is that right?

12 A. (MR. STODDARD) Yes, that's correct.

13 Q. Let's turn to that application overview.
14 Please briefly describe SWCA's expertise in CEC
15 matters.

16 A. (MR. STODDARD) Yes. SWCA, we're an
17 environmental consulting firm based here in Phoenix,
18 Arizona, and we commonly work with federal, state, and
19 local agencies to provide comprehensive environmental
20 planning, permitting, regulatory compliance, natural
21 and cultural resource management, and other
22 environmental services here in Arizona and across the
23 United States.

24 In total, SWCA has been involved in 13 CEC
25 cases before the Arizona Corporation Commission Line

1 Siting Committee, and that's been over the last 10
2 years.

3 Q. And you were engaged by Plus Power to assist
4 with the preparation for the CEC, is that right?

5 A. (MR. STODDARD) Yes, that's correct. We were
6 engaged by Plus Power to assist in early January 2022.

7 Q. Please briefly describe SWCA's role.

8 A. (MR. STODDARD) Our role in the preparation
9 of the CEC application for this 230-kilovolt generation
10 intertie transmission line, which is associated with
11 Plus Power's adjacent battery energy storage system,
12 and then regarding the CEC application itself, SWCA's
13 main role was to perform the environmental resource
14 studies that support the application and to assist with
15 the public involvement program.

16 We collected data and completed resource
17 studies, including Exhibits A through F, Exhibit H, and
18 the public involvement program in Exhibit J.

19 Mr. Petry, which I'm sure you guys have seen before,
20 I'm a new face, he personally coordinated -- we both
21 coordinated these efforts and oversaw the compilation
22 of the information contained here in these exhibits.

23 Q. And provide the Committee an overview of the
24 topics you plan to cover.

25 A. (MR. STODDARD) Sure. I will be providing

1 the Committee with information on the environmental
2 studies completed for the project, which include
3 existing and planned land use, recreation purposes and
4 aspects, existing plans, and special factors covering
5 the public involvement program.

6 Mr. Petry will then provide the Committee
7 with information on biological resource and scenic
8 areas, historic sites and structures, and
9 archaeological sites. And he will also provide our
10 opinion, based on these findings, regarding the overall
11 compatibility of the project.

12 Q. Okay. Please identify the study area that
13 was used by SWCA in preparing its evaluation. I think
14 that's on the left up here, is that correct?

15 A. (MR. STODDARD) Yes, that's the map that you
16 guys see on the left screen over there. And we
17 reviewed and studied areas within a 1-mile radius of
18 the project. This is identified as a study area. And
19 we included that in Exhibits A-1, A-2, and A-3 of the
20 application. And in general, the study area serves as
21 the geographic boundary for our resource studies and
22 the outreach activities related to public involvement.

23 Q. Why did you choose a 1-mile radius?

24 A. It's been typical standard practice within
25 the CEC applications SWCA has been involved with in the

1 last 10 years to choose that 1-mile radius around a
2 project site.

3 Q. Let's move to the public notice outreach.

4 And I understand, in addition to the exhibits that you
5 described, you also have a specifically developed
6 stakeholder involvement summary in SE-6, previously
7 filed, is that right?

8 A. (MR. STODDARD) Yes, that's correct.

9 Q. Great. Please describe those public
10 involvement activities.

11 A. (MR. STODDARD) Sure. So the applicant, with
12 our assistance, we undertook a robust public
13 involvement program to provide the public and
14 stakeholders with opportunities to ask questions and
15 provide input on the project through a variety of
16 methods, all of which included project mailings, a
17 virtual open house, a dedicated project website, and
18 telephone information line. We also had newspaper ads
19 and social media advertisements, as well as a dedicated
20 project e-mail.

21 Q. Please describe the project mailing.

22 A. (MR. STODDARD) Sure. A project mailing was
23 sent out to all identified property owners, renters,
24 and tenants, interested parties, and relevant agencies
25 within the 1-mile study area for the project, and that

1 included 3,312 entities in total. The mailing was sent
2 on June 7th and July 1st of 2022, and it provided
3 notice of the project, it requested comments or
4 questions about the project, and it invited attendance
5 at the virtual open house.

6 We also had a second mailing, which is the
7 letter you see on the right side there on the left
8 screen, which was sent out on October 14th of this
9 year, and that provided the opportunity for further
10 questions and comments and it provided notice about the
11 Line Siting Committee hearings that are happening today
12 and tomorrow.

13 Q. And you also hosted a virtual open house, is
14 that correct?

15 A. (MR. STODDARD) Yes, that's correct. The
16 applicant hosted a virtual open house. It provided an
17 online resource for interested parties to review
18 display boards presenting the project information,
19 maps, visual simulations, and exhibits describing the
20 project and the related battery facility. The virtual
21 open house also informed viewers of how to provide
22 input and ask questions, as well as how to contact
23 project team members for specific questions, including
24 the opportunity to submit an online comment form.

25 In total, the virtual open house received

1 1,284 views, with 13 total sign-ins, at the end of the
2 one-month prescribed comment period on July 31st. The
3 virtual open house still remains open and accessible,
4 and to date has received a total of 1,374 views. And
5 then images from that virtual open house are on the
6 left screen that is in front of you here.

7 Q. And they can also be found in Exhibits J-4a
8 through J-4f of the application, is that correct?

9 A. (MR. STODDARD) Yes, that's correct.

10 Q. You hosted a project website. Tell us about
11 that.

12 A. (MR. STODDARD) Yes. The applicant hosted a
13 project website which had information about the
14 project, the local outreach activities, the link to the
15 virtual open house, some FAQs, and opportunities for
16 providing input and asking questions and how to
17 directly contact project team members.

18 Q. You also had a telephone information line?

19 A. (MR. STODDARD) Yes. The applicant hosted a
20 telephone information line, which was updated
21 throughout the process of the project. And the
22 telephone information line was created to inform the
23 public about the project and provide the opportunity
24 for questions and comments to be made, and it was as a
25 means of requesting to speak to a team member directly

1 to ask questions.

2 Q. And tell us about the project e-mail address.

3 A. (MR. STODDARD) Yes. The e-mail address was
4 made available to allow for e-mailed correspondence
5 from interested parties. And this e-mail address was
6 posted within the informational mailings, within the
7 virtual open house, and the project website, as well as
8 within the telephone information line itself.

9 Q. And you also purchased ads on Facebook and
10 Instagram?

11 A. (MR. STODDARD) Yes. The applicant made
12 project information available through social media by
13 purchasing paid Facebook and Instagram ads, and those
14 ads are depicted on the left-hand screen there. And it
15 focused on a 2-mile radius around the project site and
16 the project social media ads ran throughout the comment
17 period, and in total it received 326 link clicks and
18 reached 7,574 people on Facebook and Instagram.

19 Q. You purchased display advertisements in the
20 West Valley View?

21 A. (MR. STODDARD) Yes. During the initial
22 comment period, the applicant purchased display
23 advertisements in the West Valley View twice in July,
24 and those newspaper ads promoted the virtual open house
25 and provided contact information for the project team

1 and requested comments.

2 Q. Describe the public comments received
3 regarding the project. Did you have much interest?

4 A. (MR. STODDARD) In total, we received 11
5 comments or questions about the project pertaining to
6 project location and appearance, the project need, as
7 well as health and safety. No specific comments in
8 opposition to the Gen-Tie project were received. But a
9 summary of those comments received, along with the
10 applicant's responses, are included in the application.

11 Q. And that's identified in Table J-2 of the
12 application, is that correct?

13 A. (MR. STODDARD) Yes, that's correct.

14 Q. Describe the outreach activities leading up
15 to these hearings.

16 A. (MR. STODDARD) We filed the application on
17 September 23rd, 2022, and prior to the hearings we
18 carried out additional outreach activities. And what
19 we did was in early October we published the notice of
20 hearing twice in the Arizona Republic and then once in
21 the West Valley View again. We also had broadcast
22 signs posted around the project site in three different
23 locations, and those broadcast signs listed the notice
24 of hearing. And then we also sent out a second
25 newsletter, which was on the previous screen, on

1 October 14th also identifying and announcing the Line
2 Siting Committee hearings today and tomorrow.

3 Q. Thank you. Absent questions from the
4 Committee, we can turn to Exhibit H, letters, future
5 plans for development. Go ahead and -- did you contact
6 public and private entities to determine whether the
7 project would impact plans for other development in the
8 project area?

9 A. (MR. STODDARD) yes. On July 25th SWCA sent
10 out letters, which is the image on the left-hand screen
11 there, to 15 agencies and known developers. They're
12 listed here on the right-hand screen and they're also
13 listed in Table H-1 of the application. And yes, they
14 were mailed out in July to request their input on the
15 project.

16 Q. And did you receive any responses?

17 A. (MR. STODDARD) We received responses from
18 Arizona Department of Transportation. They noted that
19 the project would not conflict with the future State
20 Route 30, also known as the Tres Rios Freeway.

21 And we also received comments from Arizona
22 Game and Fish, and they provided the standard
23 environmental online review tool report.

24 And we also heard from the SHPO, the State
25 Historic Preservation Office, requesting information on

1 the Class I literature review that was conducted for
2 the project.

3 Q. And you did not receive any other written
4 responses?

5 A. (MR. STODDARD) That is correct.

6 Q. Okay. I think next we have the route tour,
7 which Mr. Petry will handle, is that right?

8 A. (MR. PETRY) Yes.

9 (Virtual tour plays.)

10 MR. PETRY: If we could pause right here for
11 a moment, I'd like to orient the Committee with this
12 video.

13 This is a virtual tour you've seen many times
14 in the past. This has been developed so that you can
15 get a nice overview of the project area, project
16 vicinity, and see where the proposed project facilities
17 are located relative to that existing environment.
18 We'll stop at a couple points within this virtual tour
19 and we can show simulated images that you'll see a
20 little bit later in our presentation. These are the
21 virtual simulations, photo simulations that we've
22 developed from two locations near the project where the
23 potential for views are the greatest, and we can see
24 what some of these proposed facilities look like from
25 those locations.

1 MEMBER HAMWAY: I just have a quick question.

2 MR. PETRY: Yes, please.

3 MEMBER HAMWAY: Is the flyover going to show
4 actual land as it exists today, or are we using old
5 Google images again?

6 MR. PETRY: So these images are -- as you can
7 see in this aerial imagery, it is slightly dated, very
8 slightly, and I'll explain a little bit more of where
9 we're seeing some of those changes occur in the project
10 vicinity. Primarily in the location south of the Rudd
11 Substation, this location down here. You can see the
12 Rudd Substation indicated in yellow, the proposed
13 Sierra Estrella BESS is this orange box located here to
14 the east of the Rudd Substation, the proposed project
15 corridor indicated in purple, just to orient you with
16 the map here now.

17 If we look south of that, you can see this
18 existing and developing residential area to the south.
19 That's the proposed -- or, excuse me -- the Alamar
20 development. And you can see this is slightly out of
21 date in that this location on the western portion of
22 the Alamar development is continuing to develop now.
23 But that area is largely built up at this point, but
24 it's been occurring very fast over the last couple of
25 years.

1 So to answer your question, Member Hamway,
2 this is as fresh aerial data as we could obtain for
3 this overview.

4 So, again, just to orient the Committee, as
5 we've noted previously, we have the approximately
6 50-acre Rudd Substation located here in the center of
7 the image, the proposed project facilities entering
8 into that Rudd substation, the Gen-Tie corridor
9 indicated in purple. To the north of the project you
10 can see the existing 230- and 500-kV infrastructure, as
11 well as to the south and west of the project you can
12 see some of that existing 230-kV transmission
13 infrastructure.

14 From here we can go ahead and start the
15 video. And we're going to pan around the area a little
16 bit. You can see some views of that existing
17 infrastructure, as well as what the project would look
18 like in this context.

19 I would please invite the Committee to stop
20 us at any point if there are any questions along the
21 way.

22 So we'll zoom in a little closer here to the
23 Rudd Substation. You can see much of that existing
24 infrastructure, as well as where the existing 230-kV
25 and 500-kV transmission infrastructure interconnects

1 within the Rudd Substation.

2 We're looking from the west side now across a
3 newly installed park located on the west side of Rudd
4 Substation.

5 We're panning around with a view to the east.
6 And at this point, on the north side of the Rudd
7 Substation you can see some of the existing
8 infrastructure.

9 And we're zooming into Key Observation
10 Point 1. Let's pause here for just a moment, please.
11 This is KOP, or Key Observation Point, 1. This is the
12 location from where we completed one of our two visual
13 simulations for the project. And in this image what
14 you can see, again, is much of the existing Rudd
15 Substation infrastructure, as well as the existing 230-
16 and 500-kV infrastructure north of the Rudd Substation.
17 And in this image you can make out a couple of the
18 structures that would be installed as part of the
19 Sierra Estrella Gen-Tie right in this location here
20 sort of above the orange left arrow sign you can see
21 here. We'll see more of this image, as well as this
22 image as compared to the existing condition today, in a
23 little bit in the rest of my presentation.

24 We can go ahead and move forward.

25 We will now zoom out of this photo and take

1 that aerial perspective again. We're panning to the
2 east and we are looking south at this location. And it
3 gives you a good view of where that proposed corridor,
4 as well as the proposed Gen-Tie in the dark blue, would
5 be located. Again, that corridor is represented in
6 purple, with much of it occurring actually within the
7 existing Rudd Substation and a small portion extending
8 outside of the Rudd Substation into the proposed
9 battery storage facility substation.

10 We have a look to the west now. You can see
11 the existing agricultural fields at and around the
12 proposed BESS facility and, again, a good view of the
13 existing Rudd Substation.

14 We're going to zoom down into what we call a
15 pocket park, or a small park, located south of the Rudd
16 Substation. This is affiliated with that Alamar
17 residential development there. And if we can pause
18 here for just a moment as well, please. Again, this is
19 a view to the north. You can see, in the foreground of
20 this image, some of the existing grass and you know,
21 infrastructure within that park, as well as much of the
22 Rudd Substation or portions of the Rudd Substation that
23 peek out above the top of that berm located north of
24 the park. In this image you can see just the tops of a
25 portion of the proposed Gen-Tie facilities as well in

1 the center of the image.

2 Let's go ahead and move forward. Thank you.

3 From here, we will zoom back out and you can
4 have, again, a view of the overall region, the Rudd
5 Substation in the center of your image, the proposed
6 battery facility, and --

7 MEMBER HAMWAY: Where was the park, now that
8 we're --

9 MR. PETRY: Yeah. If we go ahead and zoom
10 all the way out, I can point out --

11 MEMBER HAMWAY: Okay.

12 MR. PETRY: -- exactly where that park is
13 located.

14 There are actually two parks located in the
15 study area relatively close to the Rudd Substation.
16 The first -- and if we could pause right here, that
17 would be perfect -- is going to be this park located to
18 the west of the Rudd Substation. And the second would
19 be the park where that KOP 2, Key Observation Point 2,
20 is located right here south of the substation. And
21 that's affiliated with this residential development
22 here to the south.

23 And that concludes our virtual tour. I'd be
24 happy to answer any other questions with the tour at
25 this point.

1 (No response.)

2 MR. PETRY: Thank you.

3 BY MS. DRIGGS:

4 Q. Let's continue on with the topic of land use
5 in Exhibits A and B of prefiled Exhibit SE-1 with
6 Mr. Stoddard.

7 Mr. Stoddard, please explain your analysis of
8 the land use, ownership, and jurisdiction as described
9 in the application.

10 A. (MR. STODDARD) Land use within the study and
11 the project area is privately owned. And since the
12 Gen-Tie line is entirely located in the city of
13 Avondale, the City is the primary entity with land
14 entitlement jurisdiction. The Gen-Tie line itself
15 would be entirely on privately owned land.

16 Q. And please summarize SWCA's findings, if any,
17 regarding that existing land use and jurisdiction.

18 A. (MR. STODDARD) We completed a desktop review
19 and a field visit to identify land uses within the
20 study area. And overall, the project site is located
21 in a moderately developed, but developing, urban and
22 suburban area with several single-family residential
23 developments and a notable amount of utility
24 infrastructure interspersed with agriculture lands.

25 The nearest residential home is approximately

1 .35 miles northeast. And that, if you'll look on the
2 left-hand side of your screen there, is the
3 neighborhood here within the Cantada Ranch subdivision.
4 And the Alamar subdivision, which we saw on the virtual
5 flyover, which is still continuing to be developed to
6 the south, southeast of the project, the nearest home
7 in that community is approximately .4 miles from the
8 project.

9 But other land uses within the study area
10 include a small amount of vacant land, as well as
11 commercial, park and open space, some public and
12 quasi-public, and transportation uses.

13 The Littleton Elementary School District is
14 constructing a school, which is on the opposite end of
15 the Rudd Substation there in blue, and it's
16 approximately .3 miles south of the project, like I
17 said, directly adjacent to the Rudd Substation on the
18 opposite side from the project.

19 Q. And just one small correction. You said that
20 the nearest residential home was approximately .35
21 miles northeast of the project. I think you meant
22 northwest, is that right?

23 A. (MR. STODDARD) Northwest, that's correct,
24 yes. Directionals, sorry.

25 Q. Yeah, no worries. I know it's hard when

1 you're seeing it up on the screen.

2 Let's go to planned land use, also in
3 Exhibits A and B. Did you study the impact of the
4 project on future land use plans?

5 A. (MR. STODDARD) Yes. SWCA completed a review
6 of future planned land uses identified in the Maricopa
7 County Comprehensive Plan, as well as the City of
8 Avondale's General Plan. The project is located in an
9 area with land use designations identified in the City
10 of Avondale's General Plan as public/civic, medium
11 density residential, and medium/high density
12 residential. It is zoned as a Planned Area
13 Development, as you heard earlier, and the City of
14 Avondale zoning code permits private battery storage
15 facilities as a conditional use requiring a Conditional
16 Use Permit.

17 And the applicant applied for and received
18 that Conditional Use Permit for their BESS facility in
19 November of 2021; and therefore, the project is
20 consistent with these City of Avondale land use and
21 zoning prescriptions.

22 Q. And is your -- in your opinion, is the
23 project compatible with existing and planned land uses?

24 A. (MR. STODDARD) Yes. Since the project would
25 be located directly adjacent to the existing SRP Rudd

1 Substation and include an approximately .13-mile,
2 230-kilovolt transmission line and its associated
3 substation, the applicant sought to minimize their
4 environmental impacts and the expenses by selecting a
5 direct route, while taking into account the existing
6 land use and infrastructure.

7 Operation of the project would be compatible
8 with the existing land uses and consistent with the
9 zoning code. In addition, based on my review of the
10 planned use of the study area, the project is
11 compatible with future land uses at and surrounding the
12 project site.

13 Q. Let's move on to the topic of recreation in
14 Exhibit F of premarked Exhibit SE-1. Describe SWCA's
15 inventory and findings regarding those recreational
16 resources.

17 A. (MR. STODDARD) Recreational sites or
18 opportunities do exist within the study area and are
19 primarily associated with privately owned neighborhood
20 parks, which we saw on the virtual flyover a little
21 bit, as well as the City of Avondale's Alamar Park,
22 which we saw in the virtual flyover, but is directly to
23 the west of the Rudd Substation there. At the time of
24 application filing, it was still under construction,
25 but it actually opened the beginning of October,

1 October 8th of this year.

2 And the nearest neighborhood park is the park
3 located in the Alamar subdivision that's under
4 construction. That's approximately .35 miles south,
5 southeast, and was the location of our Key Observation
6 Point 2 from which we developed that visual simulation
7 for the project.

8 The Maricopa County Parks and Recreation
9 Strategic Master Plan shows a portion of a planned
10 trail which runs adjacent to South Avondale Boulevard,
11 which intersects the study area, and is approximately
12 .40 miles to the east of the project. And this trail
13 would be built among existing urban -- or, suburban
14 infrastructure, including existing roads, residential
15 neighborhoods, and utility and other associated
16 suburban land uses. But no other planned recreation
17 uses were identified as part of the recreation
18 inventory.

19 Q. So what is your conclusion, if any, regarding
20 the project's compatibility with recreational
21 resources?

22 A. (MR. STODDARD) The Gen-Tie project would not
23 interfere with the ongoing use of any of the public or
24 private recreational facilities identified in Exhibit F
25 of the application, and the applicant does not have

1 plans to develop public recreational aspects along this
2 route.

3 Q. Okay. Let's turn to Mr. Petry. And
4 Mr. Petry, I know we've heard a bit from you, but
5 please -- if you could state your name for the record
6 and your business address.

7 A. (MR. PETRY) Yes. My name is Devin Petry,
8 and my business address is 20 East Thomas Road, Suite
9 1700, Phoenix, Arizona.

10 Q. And you're employed by SWCA Environmental
11 Consultants?

12 A. (MR. PETRY) Yes.

13 Q. And what's your -- in what capacity are you
14 employed?

15 A. (MR. PETRY) I'm a client services director
16 and senior environmental project manager.

17 Q. And you have testified previously before the
18 Arizona Power Plant and Transmission Line Siting
19 Committee, correct?

20 A. (MR. PETRY) Yes, I have, in six prior cases.

21 Q. And could you identify those cases?

22 A. (MR. PETRY) Sure. Those include the Sonoran
23 Solar Generation Intertie Project, the Pinal Central
24 Energy Center Project, the Wildcat and Cyclone
25 Generation Intertie Project, the Westwing 230-kV

1 Interconnection Project, Storey Solar Project
2 Generation Tie Line, and the Coolidge Expansion
3 Project.

4 Q. Provide a brief overview of your educational
5 and professional background.

6 A. (MR. PETRY) Certainly. I earned a
7 bachelor's of arts in geography from the University of
8 Arizona, and I have approximately 14 years in
9 environmental planning, facility siting, and
10 permitting.

11 Q. And I understand you've managed or
12 participated in over 50 impact assessment studies, is
13 that correct?

14 A. (MR. PETRY) I have, yes.

15 Q. Let's turn to the biological resources,
16 Exhibits C and D of SE-1. And please explain what
17 analysis SWCA completed for those biological resources
18 and the impact, if any, on areas of biological wealth
19 and fish, wildlife, and plant life.

20 A. (MR. PETRY) Yes. As part of our inventory
21 for biological resources, an SWCA biologist conducted a
22 reconnaissance-level survey to document the existing
23 conditions on the site and to note whether any habitat
24 features important to any special status, threatened,
25 or endangered species were present. Information was

1 also provided by the Arizona Game and Fish Department
2 and collected from the United States Fish and Wildlife
3 Service in order to identify any protected species,
4 their critical habitat, and any protected areas that
5 may be present in the study area.

6 Our inventory found that no species listed
7 under the Endangered Species Act were present within
8 the project area and none are anticipated to be
9 impacted by the proposed project. There are no
10 protected areas within the project area. A small
11 portion of the Lower Salt and Gila Rivers Important
12 Bird Area, or IBA, does extend within the project area
13 and is limited to a small portion of previously
14 disturbed, low-quality habitat with minimal vegetation
15 present. This IBA, or Important Bird Area, is
16 affiliated with essentially wet habitat, riparian
17 habitat, and the nearest riparian area from the project
18 is approximately 1.8 miles away.

19 Q. Given that, are any biological mitigation
20 measures required to reduce the impact of the project?

21 A. (MR. PETRY) Yeah. We've, in both Exhibit C
22 and D, recommended standard biological mitigation
23 measures. And, you know, those are intended really
24 just to further minimize any potential impacts to
25 biological resources. And those include

1 preconstruction surveys for nesting birds, washing
2 equipment prior to construction to minimize the
3 introduction of invasive species, and also just
4 constructing the Gen-Tie line in compliance with Avian
5 Power Line Interaction Committee, or APLIC, standards
6 to minimize the potential for electrocution to large
7 birds.

8 Q. What did you conclude, if anything, regarding
9 whether the project is compatible with wildlife and
10 plant species and any affected habitats?

11 A. (MR. PETRY) Yeah. Based on our evaluation,
12 the project is unlikely to affect any rare, endangered,
13 special status species or their habitat, and would
14 result in a negligible impact to areas of biological
15 wealth. Because construction of the project would take
16 place in a setting that is already highly altered,
17 within an area of existing utility infrastructure, the
18 project would not contribute significantly to any loss
19 of native vegetation that provides wildlife habitat or
20 any declines in any native plant or wildlife species.

21 Q. Let's turn to the topic of visual resources,
22 Exhibits E and G of SE-1. Please explain what SWCA did
23 to study the impact of the project on scenic areas.

24 A. (MR. PETRY) Certainly. SWCA completed a
25 visual resource study, which involved characterizing

1 the existing scenery, scenic quality, and sensitive
2 viewers within the study area, and then went on to
3 describe those projects -- the project's potential for
4 modifying that landscape.

5 The existing scenery near the project area is
6 consistent with the developed and developing nature of
7 the study area. The area immediately around the
8 project, as you've seen, includes views typically --
9 you know, typical of a variety of urban and suburban
10 land uses, but nearest the project is dominated by the
11 existing industrial and utility infrastructure
12 associated with the Rudd Substation. We also, in the
13 near proximity to the study area, see existing
14 agriculture, residential, and some of those parks or
15 open space uses.

16 The scenic quality within the study area is
17 considered relatively low based on the general lack of
18 visually interesting features, land forms, and
19 vegetation, and the prominence of those existing built
20 features.

21 For the purpose of our visual impact
22 analysis, we considered three categories of sensitive
23 viewers; those include residential, recreational, and
24 travel route viewers. The nearest residential areas,
25 as you've seen in some of the imagery already, include

1 -- or, excuse me -- consist of, you know, largely
2 single-family homes in the still-developing Alamar
3 subdivision to the south and the Cantada Ranch
4 subdivision northwest of the project. Both of those
5 communities are greater than a quarter mile away from
6 the project. And due to the density of the existing
7 buildings and the topography, views from these
8 residential areas primarily include other residential
9 developments, roadway infrastructure, and the existing
10 transmission infrastructure.

11 The second type of sensitive viewer we look
12 at would be those recreation viewers. And recreation
13 areas within the study area primarily include the
14 Alamar Park and some of those private community pocket
15 parks.

16 MEMBER HAMWAY: I just have a quick question
17 just for clarification. So when you're saying it's
18 like a third of a mile or a quarter of a mile from the
19 project, you're not including the Rudd Substation,
20 you're just including your BESS system with your line
21 when you say that?

22 MR. PETRY: Member Hamway, yes. When we
23 refer to the project, we are referring to the Gen-Tie
24 line itself.

25 CHMN. KATZ: And was the Rudd Substation in

1 place before most of the newer residential development?

2 MR. PETRY: Yes.

3 CHMN. KATZ: And same with existing power
4 lines, transmission lines?

5 MR. PETRY: Yes. I can't speak to the exact
6 date of when most of those power lines were installed,
7 but many of them extend to and from the Rudd
8 Substation, which was in place prior to most of the
9 residential development proximal to the Rudd
10 Substation.

11 CHMN. KATZ: Thank you.

12 MEMBER HAMWAY: And just one other quick
13 question. It's zoned educational. And you said there
14 was going to be a school there?

15 MR. PETRY: That is correct. There is an
16 area, and I can point it out on the map right now --

17 MEMBER HAMWAY: Yeah, I looked at it.

18 MR. PETRY: -- south of Rudd Substation --

19 MEMBER HAMWAY: Right. It's a pretty big
20 parcel. It's probably at least 15 acres, I would say;
21 wouldn't you?

22 MR. PETRY: It's a parcel that is affiliated
23 with that Alamar residential development to the south.
24 And as part of that residential development, which was
25 proposed and is being constructed well after the Rudd

1 Substation, they included a school facility as part of
2 that development.

3 MEMBER HAMWAY: But there's no school there
4 now?

5 MR. PETRY: Correct.

6 MEMBER HAMWAY: And who owns that land?

7 MR. PETRY: That's privately owned. It's a
8 private developer that owns and is developing the
9 Alamar subdivision, and I think much of it has been
10 sold. Much of those -- many of those parcels have been
11 sold at this point.

12 MEMBER HAMWAY: Okay. So it's owned by the
13 developer of the Alamar subdivision?

14 MR. PETRY: Yes. Well, I don't know, at this
15 point in time, if the school is, in fact, owned by that
16 developer at this point. I can't --

17 MEMBER HAMWAY: It doesn't matter.

18 MR. PETRY: -- speak to the ownership. But
19 that's where it was originally proposed.

20 MEMBER HAMWAY: Okay. Thanks.

21 BY MS. DRIGGS:

22 Q. And you have visual simulations to allow the
23 Committee to understand the visual impact of the
24 project, right?

25 A. (MR. PETRY) I do, yes. Let's go ahead and

1 show those. So we, in order to illustrate the
2 project's visual characteristics, created two visual
3 simulations from two KOPs, you saw both of those KOPs,
4 as well as those simulations earlier as part of our
5 flyover. These simulations are based on the project's
6 design and the existing site data and were developed
7 using 3D modeling software. These can be found in
8 Exhibit G of your CEC application.

9 And we developed these simulations really in
10 order to, you know, identify locations from where the
11 sensitive viewers, again, residential and recreational
12 viewers, closest to the project or where they have the
13 greatest potential views of the project would be
14 located. And you can see both of those locations in
15 the map to the left -- on the left screen. These are
16 two maps that represent the key observation points.

17 The first one on the left represents a
18 simulation developed from northwest of the project
19 site, in the residential area there, looking to the
20 southeast. And you can see that blue cone shape
21 represents your field of view from that location. And
22 this will make a little more sense in a moment when we
23 see the actual simulation.

24 The map on the right of the left screen is
25 very similar, and it represents Key Observation Point,

1 or KOP, 2. And that was developed from the small
2 pocket park located south, southeast of the project
3 near the Alamar residential development there.

4 I'll go ahead and show you those
5 simulations now. This is the first simulation
6 developed from KOP 1, again, northwest of the project
7 area, looking to the southeast. And to orient the
8 Committee with what you see here, in the upper left
9 image -- there are two photos you see. In the upper
10 left photo, that represents the existing condition.
11 This is what it looks like from near that residential
12 area today.

13 You can see much of the, in the middle
14 ground, infrastructure associated with the Rudd
15 Substation, as well as some of the existing 230-,
16 500-kV transmission infrastructure extending east to
17 west in this location north of the Rudd Substation. In
18 the foreground you can see some of the road development
19 and some roadway signs, as well as some vegetation.

20 In the lower image you can see those same
21 facilities, but with a small portion of the project
22 included. From this image you can see two, almost
23 three of the transmission structures that would be
24 visible. Hard to make out, but visible from this
25 location.

1 We can now step forward to KOP 2. This was
2 the visual simulation that we developed from KOP 2.
3 And again, this is located south of the project,
4 southeast of the project from the recreation area or
5 park affiliated with the Alamar residential development
6 and we're looking to the north. And in the upper image
7 represents the existing condition.

8 You can see some of the park facilities in
9 the foreground, as well as some of the Rudd Substation
10 infrastructure in the middle ground extending above the
11 berm at the park. And in the lower image you see those
12 same facilities, oops, but with a small portion of the
13 proposed project Gen-Tie extending up above that berm
14 as well slightly visible from this location.

15 The KOP identified -- excuse me. The
16 simulation developed from KOP 1, shown previously from
17 that residential area, again, represents residential
18 viewers and would represent visual impacts to be low
19 from those residential views.

20 The visual simulation you see here from KOP
21 2, again, is representative of one of those sensitive
22 viewer types, the recreational viewers, and we would
23 expect the impacts -- the visual impacts from this
24 location and to recreational viewers, again, to be low.

25 MS. DRIGGS: I think we're heading up on 90

1 minutes. But before we take a break, I think -- do you
2 mind if I ask one more question?

3 CHMN. KATZ: Oh, you can go ahead, yeah. But
4 you are correct, we should be taking a break.

5 MS. DRIGGS: Yeah. Last one before -- it
6 just seems like a natural stopping point.

7 BY MS. DRIGGS:

8 Q. What's your conclusion regarding the visual
9 impacts of the project, if any?

10 A. (MR. PETRY) Yeah. Overall, the project
11 would have minimal visual impacts because it would
12 appear similar to the existing transmission
13 infrastructure and, you know, that infrastructure is
14 already prominent within the landscape. As such, we
15 would consider it compatible with the visual setting.

16 MS. DRIGGS: Thank you.

17 CHMN. KATZ: It's almost 20 minutes to 3:00.
18 We'll take about a 15-minute break. I want to get
19 started right before 3:00 or no later than 3:00. So I
20 guess that's a little bit longer than 15 minutes, but
21 let's be back here within 15 and get ready to go.

22 (Off the record from 2:38 p.m. to 3:02 p.m.)

23 CHMN. KATZ: We can go back on the record.

24 BY MS. DRIGGS:

25 Q. Let's move on to the topic of cultural

1 resources, and that's Exhibit E of SE-1. Please
2 describe SWCA's inventory and finding regarding
3 cultural resources in the project area.

4 A. (MR. PETRY) Certainly. SWCA archaeologists
5 completed an inventory of previously identified
6 historic sites, structures, or archaeological sites
7 within the project study area. And the inventory was
8 completed by consulting the Arizona State Museum, the
9 National Register of Historic Places, the General Land
10 Office plat maps, and historical topographic maps. The
11 inventory revealed that there are no known historic
12 sites, structures, or archaeological sites within the
13 project area.

14 We also completed a pedestrian, or Class III,
15 survey of the project corridor, the portion outside of
16 the Rudd Substation, and found no cultural resources.
17 While the desktop inventory identified the project as
18 intersecting an historical reservoir that was removed
19 during the construction of the Rudd Substation, this
20 historic resource is no longer present and no direct
21 effects to it are anticipated from the project. As
22 such, no direct effects to cultural resources are
23 anticipated from the project.

24 Our desktop inventory also identified a few
25 historic-era sites, structures, and archaeological

1 sites within that study area, again, that 1-mile
2 distance from the project. None of those sites are
3 expected to be impacted by the project. The
4 historic-era structures mainly include single-family
5 residences, in addition to canals, farms, roads,
6 transmission line, the reservoir, and other
7 farming-related structures, all of which are located
8 approximately a tenth of a mile or further from the
9 project. Given the distance between these structures
10 and the project and the project's minimal visual
11 impacts, the project is not expected to diminish the
12 characteristics of these features.

13 Because the existing built environment,
14 again, includes numerous modern structures, including
15 large transmission lines and associated infrastructure,
16 visual introductions from the project would not
17 represent a significant change to the visual landscape,
18 and as a result, the project would have no indirect
19 effects on historic sites, structures, or
20 archaeological sites.

21 Q. So what was your ultimate conclusion
22 regarding the project's impact on cultural resources,
23 if any?

24 A. (MR. PETRY) The project would not directly
25 or indirectly affect historic sites, structures, or

1 archaeological sites, and would therefore be compatible
2 with known cultural resources.

3 Q. Moving on to overall compatibility, have you
4 formed an opinion regarding the environmental
5 compatibility of the project as described in the
6 application?

7 A. (MR. PETRY) Yes. When looking at the total
8 environment, the project would have minimal effects on
9 existing and planned land uses; recreation; visual,
10 cultural, and biological resources. The project is
11 consistent with local zoning and land use planning
12 documents, and would be constructed in an area adjacent
13 to existing electrical infrastructure. Given the
14 developed nature of the project area, and the
15 relatively short distance of the Gen-Tie itself, there
16 is a very low potential for it to affect biological,
17 cultural, or visual resources.

18 In my professional opinion, based on our
19 analysis, the project is environmentally compatible
20 with the factors set forth in ARS 40-360.06 and
21 consistent with previous projects approved by this
22 siting Committee.

23 Q. Does this conclude your testimony?

24 A. (MR. PETRY) Yes.

25 MS. DRIGGS: Thank you.

1 Are there any questions from the Committee?

2 CHMN. KATZ: Any follow-up questions?

3 (No response.)

4 CHMN. KATZ: I think we're set for the
5 moment.

6 MS. DRIGGS: Okay. Then we'll move on to our
7 next witness, and that's Mr. Devraj Banerjee. And I'll
8 spell that name for you. D-E-V-R-A-J, B-A-N-E-R-J-E-E.

9 CHMN. KATZ: And that will help us out too.
10 Thank you.

11 Whenever you're ready.

12 MR. BANERJEE: I'm ready. Sorry, the name?

13 MS. DRIGGS: Would you prefer an oath or
14 affirmation?

15 MR. BANERJEE: Affirmation.

16 CHMN. KATZ: Would you raise your right hand.
17 (Devraj Banerjee was duly affirmed by the
18 Chairman.)

19 CHMN. KATZ: Thank you very much, and you may
20 begin. And sorry for being slow to the draw.

21 MS. DRIGGS: Oh, no, not at all.

22

23 DEVRAJ BANERJEE,
24 called as a witness on behalf of Applicant, having been
25 previously affirmed by the Chairman to speak the truth

1 and nothing but the truth, was examined and testified
2 as follows:

3

4

DIRECT EXAMINATION

5

BY MS. DRIGGS:

6

Q. Please provide your name for the record.

7

A. My name is Devraj Banerjee.

8

Q. And you are located at 1780 Hughes Landing
9 Boulevard, Suite 675, The Woodlands, Texas. Is that
10 your business address?

11

A. Yes, that is.

12

Q. Thank you. You work for Plus Power?

13

A. Yes.

14

Q. Tell me your job title with Plus Power and a
15 bit about your job responsibilities.

16

A. I work as a project engineer for Plus Power.
17 My job responsibilities include providing technical
18 subject matter expertise for engineering and
19 construction of battery energy storage systems.

20

Q. And you are the lead engineer for the
21 standalone battery energy storage system that's being
22 developed by Sierra Estrella, that is correct?

23

A. That is correct.

24

Q. Describe your educational background.

25

A. I received my bachelor of science in

1 electrical engineering from the University of Illinois
2 at Urbana-Champaign in 2013, and my full resume is
3 attached to my prefiled testimony.

4 Q. Describe your experience working in clean
5 energy, utility, or related industries.

6 A. I began working in the electric utility field
7 in 2014 as a substation engineer. I was focused on
8 transmission substation projects. In 2019 I began
9 working on battery energy storage systems.

10 Q. Let's move on to the Gen-Tie design.

11 MEMBER HAMWAY: Excuse me. Can I ask what
12 presentation we're in?

13 MS. DRIGGS: Yes, of course. The
14 presentation that we -- he only has a couple of slides,
15 but you can refer to the Sierra Estrella ACC hearing
16 presentation by Plus Power, and that was previously
17 filed as Exhibit SE-2, and specifically you want to
18 refer to Slides 10 and 11.

19 MEMBER HAMWAY: Thank you.

20 MS. DRIGGS: And he will also be referring to
21 SE-1.

22 BY MS. DRIGGS:

23 Q. And I understand that the Gen-Tie design is
24 described in more detail in 1.1, the introduction of
25 SE-1, so please just briefly describe that design.

1 A. Yeah. The Gen-Tie design is being designed
2 and constructed by SRP. It is a three-phase
3 transmission line at 230 kV that will connect the
4 project substation to the existing Rudd Substation.

5 Q. And describe the proposed project substation.

6 A. The proposed project substation is a 230-kV
7 to 34.5-kV substation. It will be comprised of one
8 main power transformer, one high-voltage breaker,
9 several 34.5-kV feeder breakers, switches, as well as a
10 control enclosure.

11 CHMN. KATZ: And just so I understood you,
12 did they submit the design, SRP, for the transmission
13 lines or for the substation or both?

14 MR. BANERJEE: The substation is being
15 designed by Plus Power. SRP is just designing the
16 transmission line.

17 CHMN. KATZ: Thank you.

18 BY MS. DRIGGS:

19 Q. But I understand conceptual drawings of the
20 project are found in Exhibit G of the application, is
21 that right?

22 A. Yes, that's correct.

23 Q. And the project construction schedule. The
24 project construction start date for the BESS is
25 April 20th of 2023, that's the scheduled date, is that

1 correct?

2 A. Yes. Yes, that's correct.

3 Q. And Gen-Tie energization would be March 1st
4 of 2024, is that right?

5 A. Yes.

6 Q. And finally, commercial operation would be
7 June 1st of 2024, correct?

8 A. Yes, that's correct.

9 Q. Let's move on to the BESS design. Briefly
10 describe the BESS system and the general design.

11 A. Yeah. So as previously described, the BESS
12 system will be made up of Tesla Megapack 2XL units.
13 There will be about 276 of these units arranged in a
14 grid-like fashion. About four of these units will be
15 strung together and connected to a medium-voltage
16 transformer. These medium-voltage transformers will be
17 connected in a loop fashion and tied together to the
18 project substation, where it will be stepped up to
19 230 kV and the energy will be transferred there to the
20 Rudd Substation.

21 Q. And if we're looking at the slides, it would
22 be Slide 10 of prefiled Exhibit SE-2, is that right?
23 Could you describe what's on that picture?

24 A. Yeah. So what we're seeing here is the
25 exterior view of the Tesla Megapack 2. This shows the

1 outside -- the exterior of the container, which
2 essentially looks like a shipping container.

3 Q. And move to the next slide. Actually, I can
4 do that for you.

5 A. Yeah.

6 Q. There we go. Describe that slide, please.

7 A. So this is an interior view of the
8 Megapack 2. This would be the view if all the doors
9 were removed. What we're seeing here are the battery
10 modules. Each module contains the battery cells within
11 them. And these modules are connected in a combination
12 of series and parallel to make up the power for the
13 Megapack.

14 Q. And how does the BESS interconnect into the
15 existing electrical grid?

16 A. So the BESS connects to the existing
17 electrical grid through the project substation. The
18 battery modules are all DC connected, where the
19 inverters are built into the Tesla Megapack itself.
20 The Megapack outputs at 40 volts AC to the
21 medium-voltage transformers, and from there through
22 34.5-kV feeder cables to the project substation.

23 Q. And how will be the BESS be operated?

24 MEMBER HAMWAY: Could you move your
25 microphone closer?

1 MR. BANERJEE: Sorry. Yes.

2 Okay. Is that better?

3 MEMBER HAMWAY: A little bit.

4 BY MS. DRIGGS:

5 Q. How will the BESS be operated?

6 A. The BESS will be operated remotely. For the
7 20-year length of SRP's contract, they will control the
8 BESS directly. They will send signals remotely, which
9 will be accepted by the plant controller at the Sierra
10 Estrella facility. That plant controller will
11 communicate to the Tesla controller and to the battery
12 management system, which will control dispatching of
13 the system.

14 Q. And the battery manufacturer you expect to
15 contract with is Tesla, is that correct?

16 A. Yes, that is correct.

17 Q. And what were the considerations that went
18 into your evaluation of Tesla?

19 A. Safety and reliability were the most -- were
20 the key considerations. Tesla and the newest Tesla
21 Megapack 2XL product were found to meet all of the
22 latest codes and standards applicable to battery energy
23 storage systems.

24 Q. And that includes NFPA 855, UL 1973, UL 1741,
25 UL 9540, and UL 9540A, is that right?

1 A. That's correct.

2 Q. Will the project -- we heard a little bit
3 about this earlier. And my understanding is that the
4 project will not require augmentation as defined by
5 changes to generation output of the system or
6 transmission line or the project's footprint; there
7 will be no future changes, is that right?

8 A. Correct. The augmentation required will not
9 expand the project substation and they will not impact
10 the electrical output as far as the Gen-Tie is
11 concerned.

12 Q. Great. And confirm how the BESS will be
13 secured.

14 A. The BESS facility will be secured using an
15 8-foot-tall perimeter wall. There will be a security
16 system comprised of cameras and alarms. And any
17 incident would be immediately reported and available
18 for scrutiny from our security system.

19 Q. And we talked about this a bit earlier as
20 well. But the access routes for ingress/egress, just
21 briefly touch on those.

22 A. Yeah. The primary ingress for this facility
23 will be off Avondale Road. It will be a 20-foot-wide
24 paved road with sufficient spacing and turning radius
25 for fire trucks and vehicles to access.

1 Q. And discuss whether leaks could be a
2 possibility and what would be done in the event of a
3 leak.

4 A. There's a very low probability of a leak from
5 a battery cell. There's several levels of redundancy.
6 The battery cells are within modules, as you can see,
7 and those modules are within the container, so any
8 spills would be contained within one of those levels.

9 CHMN. KATZ: Just so I ask, when we look at
10 one of those, are there -- does the module consist of
11 those nine separate batteries or is it --

12 MR. BANERJEE: Yeah. Sort of the
13 nomenclature gets a little confusing. I think what you
14 and I would describe as a module is one of those kind
15 of individual units. Tesla actually calls a module
16 three of those. So if you see there's groupings of
17 three, that's --

18 CHMN. KATZ: So that would be the nine
19 batteries?

20 MR. BANERJEE: Yeah. So that's what Tesla
21 considers a module, and within those modules are the
22 battery cells.

23 MEMBER HAMWAY: If there was a cascading
24 event in one of those nine individual modules, could
25 you isolate it to -- how quickly and how accurately can

1 you isolate a cascading event?

2 MR. BANERJEE: So I will let Mr. Rogers speak
3 more on the UL 9540A results, which describe those.
4 But if there was any event within the battery cell, it
5 would deenergize the entire Megapack.

6 MEMBER HAMWAY: I'm sorry. Say that again.

7 MR. BANERJEE: So if there's any event within
8 any individual module, the whole Megapack would be
9 deenergized to help prevent any spread, but I'll let
10 Paul describe it in a little more detail.

11 MEMBER HAMWAY: So when you're talking about
12 a Megapack, you're --

13 MR. BANERJEE: I'm talking about the entire
14 unit, yes.

15 BY MS. DRIGGS:

16 Q. Let's move on to Gen-Tie noise and the
17 interference evaluation. Describe anticipated noise
18 levels from the Gen-Tie, if any.

19 A. The expected noise levels from the Gen-Tie
20 are evaluated to be negligible and not above background
21 levels already existing on the site.

22 Q. And describe the results of the EMF study
23 that was prepared for the project.

24 A. The EMF study found that the levels caused by
25 the Gen-Tie would be much lower than what is already

1 observed on the site.

2 Q. So it would be indistinguishable from
3 background levels, is that right?

4 A. That's correct.

5 Q. And any anticipated radio or television
6 interference?

7 A. There are no expected impacts to radio or
8 television interference from the Gen-Tie.

9 Q. Does that conclude your testimony?

10 A. Yes.

11 MS. DRIGGS: Thank you.

12 Any questions from the Committee?

13 CHMN. KATZ: Doesn't look like it.

14 MS. DRIGGS: Okay. And next up we have
15 Mr. Rogers.

16 MR. THOMAS: Tell us your name for the
17 record, please.

18 MR. ROGERS: I couldn't hear you, Chris.

19 MR. THOMAS: Tell us your name for the
20 record, please.

21 MR. ROGERS: Yeah. My name is Paul Rogers.

22 THE COURT REPORTER: Do we want to swear in
23 the witness first before we start?

24 CHMN. KATZ: Of course. Do you want to be
25 sworn or affirmed?

1 MR. ROGERS: I'll be sworn in.

2 (Paul Rogers was duly sworn by the Chairman.)

3 CHMN. KATZ: You may proceed, and I'm sorry
4 for being slow to the draw again.

5 MR. THOMAS: Sorry about that, Mr. Chairman.

6

7

PAUL ROGERS,

8 called as a witness on behalf of Applicant, having been
9 previously sworn by the Chairman to speak the truth and
10 nothing but the truth, was examined and testified as
11 follows:

12

13

DIRECT EXAMINATION

14 BY MR. THOMAS:

15 Q. Paul, where do you work?

16 A. I work at Energy Safety Response Group.

17 Q. What is Energy Safety Response Group?

18 A. We're a consulting company that was put
19 together by a group of firefighters and engineers. We
20 do consulting on energy storage systems and other
21 energy sources to look at safety based on the codes
22 that are available for that particular industry.

23 Q. Were you a co-founder?

24 A. I was a co-founder, yes.

25 Q. You're a former firefighter?

1 A. Yes, I was a firefighter.

2 Q. For whom?

3 A. I worked for the New York City Fire
4 Department for 25 years working in our hazardous
5 material unit as a lieutenant and also working in our
6 Bureau of Fire Prevention.

7 Q. You retired as a lieutenant?

8 A. I did retire as a lieutenant, yes.

9 Q. What years were you with the New York City
10 Fire Department?

11 A. I worked from 1993 to 2018.

12 Q. So you were there during 9-11?

13 A. I was there during 9-11, yes.

14 Q. Did you spend time at Ground Zero?

15 A. Yeah, I spent a lot of time at Ground Zero.

16 Q. And then after you retired as a lieutenant,
17 you co-founded ESGR?

18 A. That is correct.

19 Q. What sorts of clients and work does ESGR do?

20 A. So we do work with battery developers, people
21 like Plus Power. We also do with people like Tesla and
22 other groups that actually make batteries. We do
23 destructive testing in our laboratory out in Ohio. We
24 do permitting work like this. We do response, we
25 actually respond to certain incidents that may take

1 place where they need assistance.

2 Q. Do you also do any training?

3 A. We do, yes. And we do training based on the
4 energy storage system that we're actually working on.

5 Q. Did you also work on battery safety issues
6 during the time that you were with the New York City
7 Fire Department?

8 A. Yeah. When I was with the New York City Fire
9 Department, working down in our Bureau of Fire
10 Prevention back in 2013, these energy storage systems
11 started to show up in New York City. At that time,
12 there were no codes available to really address it
13 properly. So we created our own code or regulation --
14 it was called a rule, Rule 608 -- from the FDNY that
15 was used as a basis for the national codes that are
16 currently available today.

17 Q. What national codes are there today?

18 A. So right now we have the NFPA 855, which is a
19 national code, it's known as a model standard where
20 people can adopt it to make it for their code, and we
21 also have the International Fire Code, which are the
22 two that most people will adopt for their local
23 jurisdiction. The International Fire Code 2021 and the
24 NFPA 855 code are aligned, almost identical, because
25 the people that worked on the 855 committee, that

1 worked on that committee, also worked on the
2 International Fire Code 2021 regulation.

3 Q. What's NFPA stand for?

4 A. Yeah. The NFPA is the National Fire
5 Protection Association. It's a standard development
6 organization that looks at industries and tries to give
7 best codes or standards that can be used for industries
8 for safe installations or safety moving forward on that
9 industry.

10 Q. Did you help come up with the NFPA Standard
11 855?

12 A. Yes, I worked on that committee representing
13 firefighters. I represent firefighters through
14 International Association of Firefighters, and they
15 represent 330,000 firefighters throughout the United
16 States. But I represent ESRG today, not representing
17 the International Association of Firefighters, I want
18 to be clear on that.

19 Q. So when that work began, you represented the
20 New York City Fire Department?

21 A. Originally, when I first -- when it was first
22 put together, the committee, I was still with the New
23 York City Fire Department, and I was part of NFPA 855
24 through the New York City Fire Department. And when I
25 retired, the International Association of Firefighters

1 asked me to be their representative when I retired from
2 the New York City Fire Department, to stay on the
3 committee itself and represent the fire service.

4 Q. Okay. When was 855 released?

5 A. It was released in, I think it was --
6 technically it was in September of 2019. It was called
7 the 2020 version. There's a new version coming out in
8 2023; January it will be out.

9 Q. Is that the standard that's relied upon most
10 in this industry?

11 A. That would be the standard that most people
12 are looking at today, safe installation in a built
13 environment for energy storage systems.

14 MEMBER HAMWAY: I just have a quick question.
15 Are there competing standards?

16 MR. ROGERS: Yeah, there is a competing
17 standard, and that would be the International Fire
18 Code, which is very similar to NFPA 855, if you're
19 using the current 2021 version. They're almost
20 aligned, exactly alike, even the language itself. You
21 think you're reading 855 if you're reading the
22 International Fire Code.

23 MEMBER HAMWAY: So what happens in 2023?

24 MR. ROGERS: So in 2020 -- so in the next --
25 the next cycle that comes out, they will update the

1 code and move into other things that they feel may have
2 been gaps that they want to cover moving forward. For
3 instance, if they felt that an emergency response plan
4 was needed and they wanted more criteria, they'll add
5 more criteria into that particular section.

6 MEMBER HAMWAY: Okay. So since they're
7 aligned, there really isn't a competing standard, is
8 there?

9 MR. ROGERS: Well, it all depends on whether
10 the jurisdiction wants to adopt the 855 or whether they
11 want to -- the NFPA 855 standard or if they want to
12 adopt the International Fire Code itself.

13 MEMBER HAMWAY: Right. But depending on
14 which one they adopt, the information and the
15 technology and the codes are all going to be the same?

16 MR. ROGERS: They are very much aligned, yes.
17 Yes.

18 MEMBER HAMWAY: So is there an advantage of
19 one over the other?

20 MR. ROGERS: Well, some people -- some people
21 use what they call the "I codes," the International
22 Building Code, the International Plumbing Code, the
23 International Electric Code, and some people use NFPA
24 for their standards. So people that use the I codes,
25 they generally will adopt the International Fire Code

1 just to keep consistent with the other codes that they
2 have within their jurisdiction, so they may not adopt
3 the 855.

4 MEMBER HAMWAY: Okay. So then we can expect
5 a fire company to adopt one or the other, correct?

6 MR. ROGERS: Correct.

7 MEMBER HAMWAY: Okay. And they're both
8 adequate?

9 MR. ROGERS: They're both very adequate, yes.
10 Yes.

11 MEMBER HAMWAY: I guess that's where I was
12 going.

13 MR. ROGERS: Okay. Sorry about that.

14 MEMBER GRINNELL: Mr. Chairman.

15 CHMN. KATZ: Yes. Go ahead, Member Grinnell.

16 MEMBER GRINNELL: Mr. Rogers, the state of
17 Arizona, which code does it adopt, the state of
18 Arizona?

19 MR. ROGERS: The state of Arizona right now,
20 I believe -- I believe they're on the 2018 code. I
21 believe that they're looking to go to the 2021 code.
22 So if they went to the -- if they're on the 2018 code,
23 the 2021, or the NFPA 855 code, is going to be above
24 and beyond. It's a better code. It has more safety
25 parameters in there, and we can explain that further if

1 you're interested.

2 MEMBER HAMWAY: So the 855 has better codes?

3 MR. ROGERS: It has -- it has -- it has more
4 safety parameters addressing in the new code. For
5 instance, large-scale fire testing is addressed in the
6 new code, where the 2018 was not.

7 MEMBER HAMWAY: Okay. But in the 855 and the
8 International Fire Code both --

9 MR. ROGERS: Yes.

10 MEMBER HAMWAY: That safety testing will be
11 in both of those?

12 MR. ROGERS: That's correct, yes.

13 MEMBER HAMWAY: In 2023?

14 MR. ROGERS: No. That's in the 2021
15 International Fire Code and it's also in the 2020 NFPA
16 855.

17 MEMBER HAMWAY: Okay.

18 MR. ROGERS: And we'll explain a little
19 further on, I'm sure you've been hearing throughout the
20 testimony, this thing called UL 9540A. And both of
21 those codes call that out, and we'll address that later
22 on if you're interested.

23 MEMBER HAMWAY: Thanks.

24 BY MR. THOMAS:

25 Q. So, Paul, just to be clear, with respect to

1 the Sierra Estrella BESS project, is there any material
2 difference between the NFPA 855 and the IFC 2021 code?

3 A. Very minimal.

4 Q. Okay. And does the Sierra Estrella BESS
5 project comply with both of those codes?

6 A. Yes, it does.

7 Q. And I assume, since those codes are more
8 advanced than Arizona's soon-to-be-updated code, it
9 would also comply with that one as well?

10 A. That is correct, yes.

11 And just to give you a little education on
12 the codes, when a local jurisdiction adopts a code,
13 it's a big, big process for them to do it. It's a
14 very, very big process. That's why we see some of the
15 codes are lagging behind, where some people may be on
16 the 2012 International Fire Code and so on. It's just
17 they don't have the time to actually update the code,
18 so it takes a -- it's a long process to do it, a lot of
19 work.

20 MEMBER HAMWAY: Let me ask another question.
21 So when Avondale, you know, they're getting this BESS
22 system, if they had not adopted the most recent, would
23 this battery system be able to be installed prior to
24 them adopting the most recent and up-to-date codes?

25 MR. ROGERS: Yeah. The code that we're

1 following, NFPA 855, is going to be above and beyond
2 what is required for whatever code they may have that
3 is not -- whatever code that they may have that is
4 currently on the books. So, in other words, this is
5 above and beyond. Remember, whenever you -- whenever
6 you do a different version of the code, you're
7 enhancing the code from where it was before, so you're
8 making it even better than what it was before.

9 MEMBER HAMWAY: Correct.

10 MEMBER GRINNELL: Mr. Rogers.

11 MR. ROGERS: Yes.

12 MEMBER GRINNELL: Am I to assume -- or, am I
13 to understand here the state of Arizona really does not
14 have a unified code which all jurisdictions observe?

15 MR. ROGERS: No, I believe -- I believe
16 there's a home rule in the state of Arizona.

17 MEMBER HAMWAY: It's jurisdictional.

18 MR. ROGERS: Yeah, thank you. Thank you,
19 Ms. Hamway.

20 It is jurisdictional, so there's a home rule.

21 MEMBER GRINNELL: But this is a matter of
22 public safety as a whole. Wouldn't that -- well, I
23 guess you're not in charge of that, so...

24 MR. ROGERS: Not yet. And that's one of the
25 reasons why we're using 855, because it is the most

1 updated code and the safest code that we have currently
2 to date to address NFPA -- to address the energy
3 storage systems that are coming into the state of
4 Arizona. So it is my opinion that this code is by far
5 the best code that's out there, because we learned a
6 lot -- since the other codes were in place, we learned
7 a lot about what we need to protect against for these
8 energy storage systems because of all the testing that
9 was done to actually keep these codes and make them
10 more robust than what they were at the time.

11 MEMBER HAMWAY: So when you're training
12 Avondale police, firefighters -- I'm sorry, not
13 police -- firefighters, are you explaining the
14 difference between 855 and maybe the International Code
15 that they have adopted and they're familiar with?

16 MR. ROGERS: That's a really good question.
17 So it depends on the audience that I'm teaching.
18 Because there's a lot of firefighters that don't want
19 to know anything about the code, and I could lose them.
20 My main thing is safety during an operation. If I'm
21 having a different group of people in there that are
22 very code conscious, I am a hundred percent going to go
23 over the code with them to make sure they understand
24 it. So, again, that question, depending on the
25 audience that I am teaching.

1 MEMBER HAMWAY: Okay. Thank you. And by the
2 way, I'm really glad you exist, because this hasn't
3 been the case in the past. So I'm glad your company
4 exists, I'm glad you're up to date on the codes, and
5 I'm glad Sierra Estrella Energy Storage is working with
6 you.

7 MR. ROGERS: Thank you for that compliment.

8 BY MR. THOMAS:

9 Q. Well, it's almost a shame that I have to ask
10 more questions after that.

11 So Sierra Estrella is going to use the Tesla
12 Megapack XL system, is that correct?

13 A. 2XL system.

14 Q. Yeah, 2XL. And that's the latest and
15 greatest from Tesla?

16 A. That is their newest version, yes.

17 Q. Okay. Can you tell us a bit about the safety
18 features in the Megapack 2 system?

19 A. So the Megapack 2, as far as safety is
20 concerned, they have a thermal management, which is
21 constantly on to make sure that we don't have any
22 overheated batteries. They also have the BMS, which
23 you heard mentioned before, but I really want to
24 explain what that is.

25 The BMS itself is the battery management

1 system. That is constantly monitoring the battery for
2 the state of health. If it recognizes that something
3 is wrong or out of the parameters, it can isolate that
4 battery to stop any type of charging and discharging.
5 And we've seen, as a result of stopping the charging
6 and discharging, we can really prevent any type of
7 incident that may have taken place if it continues to
8 charge and discharge. So the battery management system
9 is basically the eyes and ears of the actual system
10 itself.

11 MEMBER HAMWAY: So does each one of these
12 physical containers have a battery management system?

13 MR. ROGERS: Yes, they do. Great question.

14 CHMN. KATZ: And is that in all three of the
15 modules within the module?

16 MR. ROGERS: Yeah, so -- yeah, we just want
17 to make sure we get our terminology right. And I don't
18 mean to be --

19 CHMN. KATZ: No, I need to be corrected, so
20 go ahead.

21 MEMBER HAMWAY: We all need to be corrected.

22 MR. ROGERS: So as we go through this -- the
23 industry, unfortunately, doesn't have standardization
24 of the modules, what is a module, some people call it a
25 pod, and some people, you know, have different names

1 for it. For the sake of this Committee, we're going to
2 recognize this as a module. We're just going to
3 recognize this as a module, because I'm going to
4 explain things further on about this particular area
5 right here, all right?

6 So a module is made up of a group of cells
7 that exist inside of it, okay? Everyone follow me so
8 far? All right. Because we're going to be talking a
9 little bit about testing, and testing of the module to
10 show the resiliency of a failed test later on.

11 Sorry, Counselor. Can you go back to your
12 question?

13 BY MR. THOMAS:

14 Q. I've forgotten what my question was, but can
15 you tell us who Fisher Engineering is?

16 A. Yes. So Fisher Engineering is a third-party
17 company that was -- that was hired by Tesla to put
18 together a report that is a narrative that explains
19 testing data that was collected during a destructive
20 test that is required as per NFPA 855 or International
21 Fire Code 2021.

22 Q. And the Fisher report is this document here,
23 right? It's the one we've marked as Exhibit SE-8, is
24 that correct?

25 A. That's correct.

1 Q. Okay. And so Fisher wrote a report, but an
2 independent third party collected the data described in
3 the report?

4 A. Yes, so -- yeah. So let me explain to the
5 Committee, if they're interested. This large-scale
6 testing -- large-scale testing, fire testing that needs
7 to be performed, is done by a national recognized
8 testing laboratory, so -- known as a NRTL. So it's not
9 just any laboratory can do it. It has to be nationally
10 recognized testing. So they have their own standards
11 and codes within themselves that they have to abide by
12 in order to get that recognition as a national testing
13 laboratory.

14 So they did destructive testing, and during
15 that testing what they --

16 Q. Before you go, who is "they"? Who was the
17 lab that did the testing?

18 A. The lab in this case was called TUV. They
19 are a national recognized testing laboratory. That
20 means they have that recognition through OSHA to be a
21 national recognized testing laboratory. And again,
22 they have their own standards within their -- within
23 their own little national recognized testing that they
24 have to meet in order to get that NRTL type of
25 recognition.

1 Q. And what's NRTL?

2 A. NRTL is a -- NRTL is short for national
3 recognized testing laboratory. I'm sorry about that.

4 Q. Okay. And before we dive into exactly what
5 the testing involved, what generally were the
6 conclusions of the independent lab as reflected in the
7 Fisher report?

8 A. Yeah. So the conclusions were that -- they
9 perform what they consider a worst-case scenario,
10 right? You can design things to withhold and see
11 what happens during a worst-case scenario event. And
12 they -- during this event that took place, there was no
13 explosion that took place observed. That's the word
14 they use in there, observed. And this was all within
15 this container here, right, all within this container.
16 There was no explosion, there was no fire that was
17 observed during this worst-case scenario, and there was
18 no fire that took place at all during the worst-case
19 scenario event.

20 There was a little bit of smoke that came out
21 of it, but they looked at that as -- they had to put
22 instrumentation into the actual -- into the container
23 itself. So as a result of putting that instrumentation
24 in there, you have to crack the doors a little bit. So
25 there was a little bit of smoke that came out as a

1 result of that, but not a lot. I don't have the exact
2 measurements on how much smoke did come out.

3 Q. Okay. We've got -- on the left side of the
4 screen here we've got, I believe it's Page 10 from the
5 Fisher report, which is Exhibit SE-8. Do you recognize
6 that?

7 A. I do. I do.

8 Q. Okay. And then this, I think, depicts the
9 test that the independent testing lab folks developed
10 to evaluate risk of propagation?

11 A. So this -- this is the final stage of the
12 UL 9540A. There's a couple of different stages; this
13 is the final stage, right. This is where they -- what
14 they do is they take a module, right -- so this module
15 here is depicted up here. I'm just using -- I forgot
16 which one they actually took. I believe it was -- it
17 was definitely one in the middle. But this here is a
18 representation here. So all those little boxes that
19 you see there, they're individual cells.

20 So what they did is -- you can see the ones
21 in red right there, right? There's three there and
22 three below and there's one in the middle that's still
23 gray. They put them into a thermal event, so they
24 heated them up, simulating an overcharge.

25 And as a result of heating them up, what they

1 did is they tried to -- the test says that you have to
2 have what they call propagation, or spread. So it has
3 to be able to spread from one cell to the next cell.
4 And they had to put six cells into failure in order to
5 get spread to another cell. So when they first tried
6 to do it with one cell, there was no spread. When they
7 tried to do it with two cells, there was no spread.
8 Three cells, no spread. Finally, they got to six
9 cells, and they finally were able to have another cell
10 go into a thermal runaway event.

11 CHMN. KATZ: And a cell is three modules?

12 MR. ROGERS: No. A cell is an individual --

13 MEMBER HAMWAY: It's inside one of those --

14 MR. ROGERS: It's inside the module. Sorry
15 about that. I know you'd probably like to look -- I
16 like to use my wallet. It's like a prismatic cell.
17 It's like a block. It's like a block. There's a
18 couple of different cell types in this industry,
19 cylindrical, prismatic, and a pouch cell. This is what
20 they call a prismatic cell.

21 So think of it looking like my wallet here,
22 right. So there's a group of these inside of that
23 module. So they had to put six of these into a heating
24 event, simulating an overcharge, to get a seventh to go
25 in, and there was no spread after that. And that was

1 the criteria the test needed in order for you to
2 satisfy the final stages of the test itself. So that's
3 all laid out in that Fisher report that's in front of
4 you.

5 But during this test they take -- what
6 they're doing is they're collecting data, raw data.
7 And they didn't feel that -- giving raw data to the
8 authority having jurisdiction to go through and cipher
9 through this and having no understanding of it, what
10 they did is they hired Fisher Engineering to come in,
11 interpret the data, and throw it into a narrative so
12 people could understand it and understand how the test
13 was administered and the results from the test.

14 BY MR. THOMAS:

15 Q. Okay. And the test did not indicate that a
16 BESS container unit would catch fire, correct?

17 A. No. As a matter of fact, it never went
18 outside of this module. We're using this module as the
19 target module right here. It never left this module
20 here at all. So all of these cells that were inside
21 this module here, they only had one other cell that
22 actually went into what they call a thermal runaway
23 event.

24 MEMBER HAMWAY: So why would you need to take
25 down the entire structure if you had a thermal

1 cascading event?

2 MR. ROGERS: I'm not sure of your question.

3 MEMBER HAMWAY: I guess I misunderstood. I
4 thought if you had one of these events, thermal events,
5 that the entire physical structure had to be shut down.

6 MR. ROGERS: If they're not designed
7 properly, you could have a cascading event that can go
8 even further than this.

9 MEMBER HAMWAY: Yeah, we've had those.

10 MR. ROGERS: You've had them.

11 MEMBER HAMWAY: Yeah.

12 MR. ROGERS: I'm aware of them.

13 MEMBER HAMWAY: So are we.

14 MR. ROGERS: Yes, in this situation. And
15 what 9540A was developed for is to really put the
16 people who are -- these integrators that are making
17 these batteries, to put them on notice to start
18 designing these things with further safety so we can
19 stop the spread of these cell-to-cell propagation of --
20 so it really -- it really pushed them to redesign their
21 energy storage systems, because we were concerned about
22 big fires and spreads, and you know what took place
23 down here in Arizona, and we all know what took place,
24 and we want to make sure that never happens again.

25 MEMBER HAMWAY: So are other battery storage

1 manufacturers, like LG and some of the others, are they
2 following this same kind of methodology?

3 MR. ROGERS: If we're using International
4 Fire Code 2021 version and the NFPA 855, they must
5 follow this. They must follow this.

6 BY MR. THOMAS:

7 Q. So, Paul, I think the Fisher report,
8 Exhibit SE-8, the last two pages I think have some
9 comparisons between the new Megapack 2XL technology
10 that Sierra Estrella will be using and the old Tesla
11 Megapack 1 technology. And what, generally, is the
12 difference in approach for thermal safety that we see
13 in the Megapack 2XL as opposed to the Megapack 1?

14 A. So if you go to the second page of what
15 Counsel is talking about, you will see UL 9540A unit
16 level test, this is destructive testing that I've been
17 talking about, and you'll see it's broken down into two
18 columns. I'm on Page, if we're going to be showing it
19 up on the screen here -- I'd rather have a visual for
20 them to take a look at. It's the last page of the
21 report.

22 MEMBER HAMWAY: Is it part of Appendix 1?

23 MR. ROGERS: Yes, Appendix 1. This right
24 here.

25 MR. THOMAS: Yeah. If you scroll to the very

1 end of that exhibit, I think you'll get there.

2 MR. ROGERS: On the Fisher report. Yep,
3 there it is.

4 I can't read that. Does that say UL 9540A
5 testing results?

6 BY MR. THOMAS:

7 Q. It does.

8 A. Great. So, as you can see, Megapack is on
9 your right-hand side. Let's take a look at the results
10 from this large-scale fire testing that's required in
11 the code. This is a Megapack 1 versus a Megapack 2.
12 The Megapack 1 is no longer being made; everything is
13 going to be the Megapack 2. I'm not -- I don't believe
14 the Megapack 1 is going to be made anymore, but I know
15 the Megapack 2 is now really starting to be used in a
16 lot of different places.

17 But you can look, if everyone is on that
18 page, you can see where it says, internally heated
19 cells led to a thermal runaway of one additional cell.
20 And we just showed you that visual before. You can
21 also see it says, no fire propagation, no evidence of
22 sustained flaming, no flames observed outside the
23 cabinet itself, no heat fluxes recorded at distances up
24 to -- heat flux is basically heat -- the heat transfer
25 and how far it will actually start to radiate heat, how

1 far it will go -- 20 to 30 feet from the cabinet
2 itself.

3 Q. Okay. And in fairness to the Megapack 1,
4 which Sierra Estrella will not be using, it was
5 designed to consume the entire cabinet to eliminate
6 gases, correct?

7 A. Megapack 1 was designed to totally consume
8 itself. And, you know, there have been a couple of
9 them that you may have been aware of, but it did what
10 it was exactly designed to do. It actually validated
11 9540A. They tested it that way, and it validated
12 exactly what the test -- what the test showed that
13 would happen, did actually happen. So some people look
14 at it as a bad thing; I actually looked at it as a good
15 thing. It did exactly how it was designed, and that
16 was to consume itself.

17 Q. But in any event, the Megapack 2XL doesn't
18 have that same feature, correct?

19 A. No. Megapack 2, they don't have any -- and
20 we saw the results. There is no flaming that takes
21 place, there's no spread, there's no observed -- there
22 was no type of -- any type of explosion or projectiles
23 being thrown out of this thing, and we're all familiar
24 with that before. So that's always a -- that's a good
25 thing, and that's an Achilles heel for the fire

1 service, as we know.

2 Q. And this is addressed in your prefiled
3 testimony as well, but generally speaking, the other
4 fires that we've heard about, some of which were in
5 Arizona, involved the older technology that's not being
6 used here, is that correct?

7 A. Older technology, systems that weren't listed
8 at the time, they did not have any type of explosion
9 control, there was no ventilation, there was no
10 emergency response plans for the fire service, so there
11 was very little training. The fire service didn't even
12 know some of these things existed. So there's been a
13 lot that has been done through the new NFPA 855, the
14 International Fire Code to make sure that the
15 firefighters had a voice and that they're going to be
16 protected when these things go in.

17 Q. Is part of your engagement for Sierra
18 Estrella to be -- to continue working with the Avondale
19 Fire Department?

20 A. Oh, absolutely.

21 Q. And what will that involve?

22 A. So that will be an emergency response plan
23 that will be built out, and it -- we'll give them a
24 draft on it. And then we are big into having meetings
25 with them to make sure that what we're building out is

1 actually something that they can agree with. So
2 they're going to have a say in the finalization of it,
3 of the emergency response plan. We're going to lay out
4 a -- we'll lay out the basic procedures for them, and
5 then they're going to have any input.

6 So it's a dual -- a report that we work with
7 them. It's not just like, here is your report, good
8 luck. It's like, here is your report. Do you guys
9 have any questions? Do you want to add anything? So
10 that will be one thing that we'll do.

11 We'll also do a hazard mitigation analysis,
12 which is called an HMA. That will be there. But that
13 will be for the -- for the fire department itself that
14 they can take a look and maybe some people in the
15 operations section of the fire department may want to
16 take a look at it.

17 And then we'll have site-specific training so
18 they know exactly what to expect in the event that
19 something takes place, because not all energy storage
20 systems are the same. So site-specific training is
21 very, very important. And as you move further, make
22 sure that you do that for the fire service, if I'm not
23 around, to other people that come in front of your
24 board.

25 MEMBER GRINNELL: Mr. Chairman.

1 CHMN. KATZ: Yes, Member Grinnell.

2 MEMBER GRINNELL: Mr. Rogers, I don't know
3 how big the Avondale Fire Department is. But in the
4 event of some kind of major fallout for other
5 jurisdictions to join in, is your education and
6 outreach being expanded to the neighboring
7 jurisdictions, including any volunteer firefighters and
8 things of this nature?

9 MR. ROGERS: That's a great question. As a
10 matter of fact, I would encourage that. I would
11 encourage them to invite other people in the
12 surrounding areas to come to the training.

13 MEMBER GRINNELL: Is there any kind of -- I
14 think the Arizona case was probably a great example for
15 the lack of jurisdictional training and understanding
16 exactly what the firefighters were dealing with. Is
17 there any kind of emphasis that can be placed on the
18 Avondale Fire Department to please encourage -- you
19 don't want to step on people's territory. But on the
20 flip side, you also have to recognize -- you know, I
21 was on an aircraft carrier where firefighting --
22 everybody, including officers, had to learn how to
23 firefight, period. And I don't know if there's any
24 kind of mandate that can be implemented or really
25 stressed with the local Avondale Fire Department to get

1 this understanding of what we're dealing with here
2 because, God forbid, something happened here.

3 MR. ROGERS: Well, two things. You're a
4 hundred percent right, it is territorial, and I
5 wouldn't overstep my boundary by telling the chief he
6 must do this. I would make that recommendation to
7 them. I don't know -- I hope that everyone gets along
8 with each fire department, as they have -- you know,
9 once in a while there's a battle of the badges and
10 stuff like that; I don't know if it exists down here.
11 But, you know, I would even recommend, if the police
12 department were interested in coming to this, that they
13 would -- they could come too. The training would be
14 open to whoever would be responding or who possibly
15 could be at the scene. I don't think that that's a
16 problem at all. Matter of fact, as I said, I encourage
17 them to bring whoever they need to bring to make sure
18 that we're all on the same page.

19 MEMBER GRINNELL: And to that end,
20 internally, within the company that's going to be
21 managing or operating the battery storage facility, how
22 many personnel internally will be available to provide
23 direction and immediate response -- emergency response
24 within?

25 MR. ROGERS: Yeah, great question. So

1 they're required to have a telephone reachback
2 number in the event that something were to take place
3 on that. As far as -- there would be a subject matter
4 expert that would be available for the actual fire
5 service, and there's going to be more coming. This is
6 still being built out, as far as any type of emergency
7 and what type of help that we can give to the fire
8 service. Great question.

9 MEMBER GRINNELL: Will all that information
10 be in place -- excuse me -- in place and ready and
11 available to all the local jurisdictions before this
12 facility is actually built?

13 MR. ROGERS: So it will be available for the
14 authority having jurisdiction, which would be that
15 local Avondale Fire Department. They're the ones who
16 will have that information. It would be up to them to
17 share it. I will make myself available to anyone --
18 any fire department that needs any information from me.
19 I personally will make myself available to them. I
20 actually talked with the fire service down here
21 already, some of them sit on NFPA 855 with me, so I am
22 familiar with the area here. But yes, anyone who
23 wanted any type of information from me, I will make
24 myself available for that.

25 MEMBER GRINNELL: Thank you, sir.

1 MR. ROGERS: Yes.

2 MR. THOMAS: That's all the questions I have
3 for you, Paul, but there may well be some further
4 questions from the Members of the Committee, so stay
5 put.

6 MR. ROGERS: Sure.

7 CHMN. KATZ: Anything else, Committee
8 Members?

9 (No response.)

10 CHMN. KATZ: I think we're done, at least for
11 the moment, with this witness.

12 MR. THOMAS: Thank you, Paul. You can step
13 down.

14 Paul was our last live witness. So we're
15 happy to bring somebody back if you have further
16 questions that you had for them or address any
17 questions you have with the record. We did submit our
18 direct testimony in the form of a declaration, so it
19 should have independent value if you don't happen to
20 ask about something that's in the prewritten testimony
21 as well.

22 CHMN. KATZ: Anybody have any follow-up
23 questions?

24 (No response.)

25 CHMN. KATZ: How do you want to proceed? Do

1 we want to recess -- we have to stick around at least
2 until 5:30 for public comment. I don't see any members
3 of the general public present. If you are, stand up
4 and holler. But I don't see anybody, and we might get
5 some virtual attendees or in-person attendees. But
6 where do you think we sit right now? Obviously, you
7 would be given an opportunity to make a closing
8 argument or statement.

9 And as I explained to you, tomorrow we would
10 be reviewing the two CECs, which will be substantially
11 identical, one for the substation and one for the
12 transmission lines. And we'll do what we did in our
13 last hearing, we'll have a CEC 208-1 and CEC 208-2, and
14 one will be -- and we'll have a PDF version, which will
15 be Chair-1, of the first one, and Chair-2 will be the
16 Word version that will modify and amend and finalize.
17 And then the second CEC will be Chair Number 3, PDF,
18 and Chair Number 4 in a Word version that we will work
19 from tomorrow.

20 But where are we at? Is there really -- if
21 the Committee doesn't have any further questions, are
22 we ready to hear closing arguments or do we want to do
23 that first thing in the morning before we review the
24 CECs?

25 MR. THOMAS: I guess, Mr. Chairman, we might

1 be informed from some of the public comments tonight,
2 if any issues are raised there. But I guess for
3 starters, we'd be happy to entertain any comments or
4 questions by the Committee to make sure that we've
5 addressed all of the issues. I'd like to think that
6 our testimony and our written prefiled testimony have
7 adequately satisfied the Committee's concern; but if
8 I'm mistaken, by all means, let us know.

9 CHMN. KATZ: Any Members of the Committee in
10 person or virtually that have any follow-up questions
11 or concerns?

12 (No response.)

13 CHMN. KATZ: Hearing silence, I feel
14 comfortable with the presentation that has been made.
15 What we can do is we'll have about an hour-and-a-half
16 break. And after we hear those comments, tomorrow
17 morning at 9:00 you can make a succinct and appropriate
18 closing argument or statement, and we then can review
19 the CECs. Any of the edited versions -- I'm assuming
20 you've communicated with Tod, so you know where to send
21 things to him and him back to you?

22 MR. THOMAS: Yes. And any closing tomorrow
23 will indeed be succinct. I'm smart enough to keep my
24 mouth shut when it appears that I've satisfied the
25 panel.

1 CHMN. KATZ: You've done a pretty good job
2 today, so don't be overwhelmingly concerned.

3 We'll recess, then, until 5:30, okay?

4 MR. THOMAS: Thank you, Mr. Chairman.

5 (Off the record from 3:58 p.m. to 5:31 p.m.)

6 CHMN. KATZ: May I have your attention, all,
7 for just a minute. I'm showing right now that it is
8 5:31 p.m. We're back on the record. And are there any
9 members of the public present in our hearing room?

10 (No response.)

11 CHMN. KATZ: Seeing all familiar faces from
12 earlier today, we don't have any members of the public
13 that are commenting. And I just checked with our IT
14 people behind me, and there are no virtual public
15 members that wish to make comments.

16 So we're going to recess for the day. I hope
17 you enjoyed the last 45 or 50 minutes or whatever it
18 was, maybe an hour and a half. But we'll start at 9:00
19 tomorrow morning. And if there's a closing argument,
20 so be it; and if not, we're happy either way. We'll
21 get right to the reviewing of the CECs.

22 MR. THOMAS: I don't see a need for a closing
23 tomorrow, Mr. Chairman, so we'll skip that.

24 CHMN. KATZ: And I'll have to coordinate with
25 Tod Brewer, our paralegal, to make sure that we get the

1 final PDF and Word versions of both CECs to you guys so
2 that we can bring them up on the screen.

3 MS. DRIGGS: Okay. Perfect. And then we can
4 edit them on the computer?

5 CHMN. KATZ: You got it. Everyone have a
6 good night.

7 (The hearing recessed at 5:32 p.m.)

8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 STATE OF ARIZONA)
) ss.
2 COUNTY OF MARICOPA)

3

4 BE IT KNOWN that the foregoing proceedings
 were taken before me; that the foregoing pages are a
 full, true, and accurate record of the proceedings all
5 done to the best of my skill and ability; that the
 proceedings were taken down by me in shorthand and
6 thereafter reduced to print under my direction.

7


8 I CERTIFY that I am in no way related to any
 of the parties hereto nor am I in any way interested in
 the outcome hereof.

9

10 I CERTIFY that I have complied with the
 ethical obligations set forth in ACJA 7-206(F)(3) and
 ACJA 7-206 J(1)(g)(1) and (2). Dated at Phoenix,
 Arizona, this 11th day of November, 2022.

11

12



13

14

KATHRYN A. BLACKWELDER
Certified Reporter
Certificate No. 50666

15

16

17

18 I CERTIFY that Glennie Reporting Services,
 LLC, has complied with the ethical obligations set
 forth in ACJA 7-206(J)(1)(g)(1) through (6).

19

20

21

22



23

GLENNIE REPORTING SERVICES, LLC
Registered Reporting Firm
Arizona RRF No. R1035

24

25